

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

SHELBY TOWN BOARD WORKSHOP MEETING

4062 SALTWORKS ROAD

MEDINA, NEW YORK 14103

JANUARY 30, 2017 - 5:30 p.m.

RE: FRONTIER STONE, LLC

ECONOMIC AND FISCAL IMPACT OF THE PROPOSED STONE

QUARRY ON THE TOWN OF SHELBY, ORLEANS COUNTY

AND THE SURROUNDING AREA

REPORTED BY: DOREEN M. SHARICK, Court Reporter
FORBES COURT REPORTING SERVICES, LLC
21 Woodcrest Drive
Batavia, New York 14020

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

APPEARANCES:

SHELBY TOWN BOARD:

- MERLE DRAPER, CHAIRMAN
- WILLIAM BACON, COUNCILMAN
- KENNETH SCHAL, COUNCILMAN
- STEVEN SEITZ, JR., COUNCILMAN
- MR. STALKER STALKER, COUNCILMAN
- DARLENE RICH, TOWN CLERK
- BETHANY A. CENTRONE, TOWN ATTORNEY
- DANIEL SPITZER, SPECIAL COUNSEL

KEVIN BROWN, ESQ.,
BROWN, SHARLOW, DUKE & FOGEL, P.C.,
AXA Tower 1, Suite 1820,
100 Madison Street,
Syracuse, New York 13202,
Appearing for Frontier Stone.

SAMUEL W. GOWAN, PhD. CPG - President,
ALPHA GEOSCIENCE,
679 Plank Road,
Clifton Park, New York 12065.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

JASON KAPPEL, SENIOR GEOLOGIST,
CONTINENTAL PLACER, INC.

JOSEPH PICCIOTTA, ESQ.,
HARRIS BEACH, PLLC,
99 Garnsey Road,
Rochester, New York.

DINA BARONE, Public Relations,
MINDFUL MEDIA,
221 Smallwood Drive,
Snyder, New York.

1
2 CHAIRMAN DRAPER: Good evening,
3 everyone. Welcome to the January 30 Special
4 Meeting of Shelby Town Board. Before we
5 start, this middle aisle, we really don't
6 need. So if anyone is over here that has a
7 obstructed view that would like to see what
8 is being presented, there is plenty of chairs
9 in the center and it's fine if we drag our
10 chairs into the middle of this aisle. We
11 don't need this aisle tonight.

12 We can take a couple of minutes to do
13 that if you want to do that.

14 We are going to start in a few minutes.
15 I'm going to go over the general agenda for
16 the evening. We are going to open with a
17 pledge to the flag. As I said earlier, this
18 is a special meeting of the Shelby Town
19 Board. We class them as workshop meetings.
20 A workshop meeting is held in a specific
21 purpose whether it's to work on the budget,
22 whether it's to hear a presentation. It's
23 informational for the Town Board.

24 We have a series of speakers tonight.
25 If you are here to speak, making a

1
2 presentation, please state your name before
3 you speak so the stenographer can enter that
4 into our minutes. We will have a
5 stenographer tonight. Those minutes will be
6 made public as soon as we have them. It does
7 take her a couple of weeks to put them
8 together and get them back to us.

9 I just want to clear a couple of things
10 up. I had some emails from various folks
11 asking why this meeting was not posted. Why
12 it was not advertised in the Hub. Why the
13 Hub didn't know about it. I just want to
14 make a couple things clear. The official
15 paper of the Town is the Batavia News. This
16 meeting was set at the year end meeting in
17 December. It was re-announced at the January
18 meeting. It was posted on our web site. It
19 was also posted under special notices in the
20 web site. Some people are here at every
21 meeting. They are well aware of this
22 meeting. If you are not, you need to make
23 yourself aware, but to insinuate anything
24 else is just that, an insinuation.

25 Again, the purpose of the meeting is for

1
2 Frontier Stone to make a presentation to the
3 Town Board. After the presentation, I'm
4 going to give the Town Board an opportunity
5 to ask questions of the presenters. Bethany
6 and Dan, if you have questions, certainly
7 please ask them as well. Once that's
8 concluded, the Town Board is going to go with
9 Mr. Spitzer into executive session or at
10 least I'm going to ask him for an executive
11 session. Assuming they make that motion,
12 then we will have a discussion with
13 Mr. Spitzer. And then we will adjourn. If
14 you want to stay through the executive
15 session, you can. You won't be in that room
16 when we are speaking, but when we come out, I
17 don't anticipate any further business. We're
18 going to come out and adjourn. If you want
19 to wait for that to happen, that's fine.

20 If you're presenting, I don't want you
21 surprised when the Town Board does follow-up
22 and checks on what you have presented. So if
23 you take issue with that, so be it, but the
24 Town Board commonly follows up on what's
25 presented.

1
2 At this time I'm going ask everybody to
3 stand for the Pledge of the Flag.

4 (The Pledge was said.)

5 MR. SPITZER: Just one point for the
6 minutes, just a point for the minutes, simply
7 because Joe and I are actually involved with
8 litigation against a third party where this
9 has come up. It's not an adjournment to an
10 executive session. It's an adjournment to an
11 attorney/client privilege session, which is
12 actually an exception to the open meeting
13 law.

14 CHAIRMAN DRAPER: Thank you. Who's the
15 main presenter? You are Joe?

16 MR. BROWN: Kevin Brown.

17 CHAIRMAN DRAPER: Kevin Brown. Okay.
18 I'll turn the presentation over to you.
19 Again, if you would, just before you speak,
20 please state your name so that Doreen can
21 record that properly.

22 MR. BROWN: Mr. Draper, Mr. Schal, Good
23 evening; Members of the Board, good evening.
24 My name is Kevin Brown. I'm an attorney with
25 Law Firm of Brown, Sharlow, Duke and Fogel

1
2 from Syracuse, New York. And for the last
3 ten years I've been the Special Environmental
4 Counsel for Frontier for the DEC permit
5 application for the mine project.

6 I want to thank you tonight for taking
7 time to hear from us. I know the Board
8 Members have a lot of demands on their time
9 and we appreciate taking the time with us and
10 letting us tell our story here tonight.

11 There's a number of people here tonight.
12 I think everyone knows Dina, Dina Barone, and
13 a number of you do I believe. And her team
14 has been helping us with our public outreach
15 efforts with the quarry. We realized that a
16 few years ago that we were behind the eight
17 ball on that. We needed to get our story out
18 and she's been working very hard to get our
19 story out to the public and tonight, I
20 believe I know she's provided to the Board --
21 you see a package on each of your desks. It
22 has material that summarized the project
23 generally and also goes through some of the
24 many studies we've performed in the summary
25 way. It will have information in there about

1
2 the DEC findings and the permit, what the
3 result of that process has been thus far.
4 There's information in there on the economic
5 benefits of the quarry. I think you'll find
6 that pretty interesting.

7 I know the study was in with the Town a
8 few years ago. It has been updated, but it's
9 very good information about the economic
10 impact and the benefits of the quarry,
11 employment, taxes, sales, use of vendors and
12 then just having the product available here
13 nearby is a very cost -- transportation cost
14 sensitive because it's a bulk commodity. I
15 do a lot of this work around the state and I
16 tell the Boards is if you take the distance
17 -- if you start paying as much to haul it as
18 you pay for the material, you don't have
19 enough of this material in your budgets, the
20 infrastructure budgets can get cut in half or
21 you know, you can cut what you can do in half
22 or you can double your infrastructure
23 budgets. That's just the nature of that
24 business of providing the raw material for
25 our whole built infrastructure.

1
2 This Town going back a long time had
3 always had a lot of quarries. The Medina
4 Sandstone is a very famous architectural
5 stone we find all through the state. People
6 are still taking pictures of some of the
7 churches and armories built with that. That
8 material employed thousands of people, a lot
9 of good jobs and built a lot of good
10 infrastructure in the state, public and the
11 private.

12 Today, we don't use block stone any
13 more. We use aggregate into cement mixtures
14 and hot mix asphalt for the roads. It's much
15 cheaper. That's the engineering these days
16 and virtually, our entire built environment,
17 this building we're in, the road outside, the
18 bridges in town, churches, schools,
19 hospitals, it all requires cement material
20 made from high quality aggregate.

21 Aggregate stone we are looking to access
22 here is out of the Lockport Dolomite
23 Formation. It's a unique -- not totally
24 unique stone, but it's a very high quality
25 stone. A lot of formations aren't really

1
2 suitable for the products we need. There are
3 the chemical and physical characteristics
4 that are suitable for the good sound concrete
5 and high friction aggregate for roads. So
6 the material isn't everywhere, but it is here
7 and there's a nice formation of it that
8 you'll be hearing about here in a second.
9 That's how we came to the Town. People ask
10 why here. That's why. There is a very good
11 source of material here.

12 What I've propose is I'll have -- I've
13 two folks that can walk through the mine
14 plan. One will walk through the mine plan
15 and the other will walk through what we think
16 in the course of our reviews, that probably
17 the biggest issue and I know the Board's had
18 a lot of public scoping sessions and hearings
19 on the DEIS and I know that the wildlife
20 refuge and the water issues was a big
21 concern. And so over the years we did a lot
22 of work on that. And we have somebody here
23 to talk that through with you tonight.

24 I think we started this process years
25 ago under the State Environmental Quality

1
2 Review Act, have to assess all potential
3 impacts, identify them, fully assess them,
4 and then you have to avoid them if possible
5 and if it's not possible to avoid them, you
6 have to mitigate them to the maximum extent
7 practicable. I think tonight in these
8 presentations you will see that we have done
9 that as far as this quarry and this operation
10 and in particular, with respect to the
11 refuge.

12 However, the Town's request two years
13 ago, two issues were brought up to us.
14 Mr. Charles Malcolm, the attorney, made
15 comments into the DEIS. Said we need you to
16 talk to the staff. We need you to work with
17 staff and we need you to work with the
18 I.N.W.R. That was in '14, I think that
19 hearing.

20 We went ahead and with DEC as a
21 facilitator. We did so. We had a meeting
22 with the STAMP folks. And then we went
23 through a process. It took about a year and
24 a half to get through it. They were
25 concerned because, you know, it's a

1
2 nanotechnology and semi-conductor facility
3 that requires very quiet seismic conditions.
4 They can't have any vibration when they are
5 using those very precise calibrated
6 instruments to semi-conduct or await for
7 manufacturing. That was a tricky thing to
8 look into. We ended up hiring Vibra-Tech,
9 which is the gold standard of national firms
10 that do blasting analysis and work and they
11 worked.

12 We worked with Genesee County Economic
13 Development Corporation folks and the STAMP
14 folks and they brought on -- they have Colin
15 Gordon, which is a firm out in the Silicon
16 Valley, that does all the -- all the seismic
17 work for all the semi-conductor and
18 nanotechnology places in the states. That's
19 what they do. We got into a process with
20 them where -- and it took a while because our
21 folks at Vibra-Tech presented a protocol for
22 doing a test blast and for doing the modeling
23 afterwards. Their experts reviewed it, sent
24 it back to STAMP. Sent it over to us, we
25 worked it around. And Mr. Schal, you were

1
2 there. We did a test blast. We set up I
3 want to say it was about 80 -- 80
4 seismographs from the site and running down
5 to the STAMP, proposed STAMP site, the STAMP
6 site. And there was an accelerometer so
7 sensitive if you tapped the ground 20 feet
8 away with your hand, it would read. We did a
9 test blast. That test blast was nothing like
10 a normal blast. It had to be large enough to
11 register down there. So we took one of the
12 core holes that we had drilled at the site
13 when we were assuring ourselves of the
14 geology there for purposes of the resource
15 and to make sure we did an adequate
16 hydrologic analysis. We had a number of core
17 holes and wells. We took one of those.
18 Packed with I think six or 800 pounds of
19 explosive. No timing delay. Nothing. This
20 is a blast you would never set off for real,
21 but we had to reach all the way down to the
22 STAMP site. We set it off, got good readings
23 and then it went into a modeling protocol.
24 What happens, every geologic formation is a
25 little different. They had to get the actual

1
2 readings of how the blast waves would
3 propagate through the stone right here, you
4 know, in this specific formation in order to
5 do very detailed modeling that was necessary
6 for Vibra-Tech, the design for us --
7 conduction blast that would work for us and
8 also keep the nanotechnology and
9 semi-conductor plant quiet. No vibration.
10 We went through that. DEC checked it. Colin
11 Gordon checked it and we came back with
12 permit conditions, which are now in the DEC
13 permit. That require us to meet VCE
14 standards of right today before they even
15 build anything there. It's monitored at the
16 site and that's the standard for
17 semi-conductor.

18 If they did a contract to put a
19 nanotechnology in there, which is a more
20 restrictive standard for that in this day, we
21 have a permit condition that automatically
22 triggers that standard. We have done the
23 blast design to show we can blast here and
24 still not disrupt their operation and then we
25 monitor every time we blast.

1
2 It was an expensive and a lengthy
3 process. In the meantime, we also reached
4 out to -- and was facilitated by DEC, we met
5 with Tom Roster and the staff people at the
6 Wildlife Refuge there and we wanted to know
7 if they had other concerns that we hadn't
8 addressed. You know, early on U.S.G.S.
9 submitted a comment letter, that we'll talk
10 about here in a minute, that they addressed
11 in our studies, but was there anything else.
12 They went out to the site. They talked about
13 water levels in there. As you know, they are
14 all managed. The wetlands there, the marshes
15 are all managed for certain levels. They
16 drain them in the spring to dry them out and
17 let certain plant species set up that are
18 good for the waterfowl that go there. They
19 grow. They flood them right away after that.
20 They get a low level of water over them. The
21 purpose of that is to prevent evasive species
22 from setting up and those aren't good food
23 for the geese. So they do flood them to a
24 certain level. Later in the year, they flood
25 them deeper depending on what target

1
2 waterfowl population they want to attract to
3 that specific marsh area. They have a number
4 of them. They control them for different
5 populations. Some ducks need deep water, 48
6 inches; other ducks want 24 inches. They
7 actually manage those to that level of
8 precision.

9 There's also some grass, some areas they
10 dry out every year. Those are for other
11 species of migratory birds that they are
12 trying to encourage to come there and move
13 through.

14 So when they looked at our pumping
15 rates, what will happen is, you know, our
16 pumping rate will capture water, capture some
17 water and we actually slow down to some
18 extent the water. They were afraid -- they
19 were concerned that our pumping would extend
20 out into some of the (inaudible) -- not able
21 to keep that area dry. Sam went out and met
22 at the site. He will go through a lot of
23 this in a minute. We ended up with a permit
24 condition with I.N.W.R. Basically, we will
25 ship the water, which is actually a big

1
2 advantage to them. We can put the water in
3 whichever basin they want it in and help them
4 manage their water over there.

5 And I only go through that story --
6 you're going to get a lot more detail here in
7 a second, but I go through that story because
8 that's the point where I started looking at
9 this project differently, is all this time
10 we've been talking to -- worried about do no
11 harm, mitigate any impacts, minimize them.

12 That's the point where I realized we can
13 actually help the refuge. I knew it would be
14 an asset to have water there, but I think if
15 you really honestly look at this project, you
16 can see that eventually having a reservoir
17 and we'll have the first reservoir in ten
18 years, having reservoirs immediately adjacent
19 to a wildlife refuge in the face of climate
20 change that's projected over the next
21 century, this could actually be just what the
22 refuge would want to have to plan for
23 resiliency in the face of climate change.

24 Last summer was a great example. We had
25 DEC printing out advisories to hunters that

1
2 many of the marshes were dried up. You
3 couldn't have as many takes this summer.
4 They weren't handing out as many permits. We
5 had a new SDA disaster farm irrigation.

6 A reservoir is the way to address those
7 kinds of issues. And I think -- our look at
8 this is, we've done everything we could to
9 make sure we minimize those impacts. Certain
10 that there is no trucks going through there
11 any more. Our noise is actually less than
12 ambient. We actually reduce the ambient
13 noise. Now, compared to the farm equipment
14 that's there today, now, I know that farm
15 equipment doesn't run everyday, but neither
16 does a quarry. The quarry moves around that
17 site over time, the activity on the quarry.

18 So we will be at ambient 250 feet in in
19 an area that has no overlooks or anything.
20 We've agreed also with DEC to a permit
21 condition that we will keep our activities
22 further north, 350 feet further north in May,
23 June and July during the breeding season for
24 the birds. So you will get more on this, but
25 I'm convinced we've done everything possible

1
2 and we will not have significant impacts on
3 that -- on that refuge and everything I'm
4 saying is that number is behind it and some
5 of the best folks in the country have looked
6 at it.

7 So with that, I'm going to pass the
8 baton here to Jason Kappel. I'll give you a
9 little bit of his background. He's kind of
10 modest so I've got to tell you what he does.
11 Jason is a Senior Geologist with Continental
12 Placer, Inc., that are headquartered in
13 Albany, New York, with offices in Harrisburg,
14 Pennsylvania, and Laconia, New Hampshire.
15 They are one of the leading national firms
16 for mining, mine reclamation and
17 environmental consulting on mining
18 operations.

19 He has over 21 years experience in
20 environmental assessment and permitting
21 reviews including all areas of environmental
22 compliance and emphasis on analysis and
23 stormwater management, groundwater, water
24 supply, noise impacts and mitigation, air
25 emissions, and induced vibration and air

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

overpressure from bedrock blasting.

His work in mine development extends from initial geologic mapping and sampling to mine planning and environmental impact assessment and reclamation planning. He's developed mining and reclamation plans in New York, Vermont and Pennsylvania.

His expertise in the environmental field includes preparing Draft Environmental Impact Statements; compliance and regulatory audits for State Pollute and Discharge Elimination Systems. That's water discharges under the Clean Water Act; air impact analysis and permitting under the requirements under the Clean Air Act; fugitive dust assessments and controls and noise modeling, visual assessments, spill prevention and counter measure plans; stormwater permitting; stormwater modeling, and development of pollution prevention plans and Best Management Practices for stormwater management.

He's also been a lead investigator for several water supply projects, ranging from

1
2 large-scale municipal water supply
3 investigations to water supply for
4 residential housing developments.

5 His education, he has a Master's of
6 Science in Geology and GeoChemistry from
7 Rensselaer Polytechnic Institute and B. S. in
8 Geology/Groundwater Hydrology from Rensselaer
9 Polytechnic also, an RPI guy. I'll have,
10 Jason, go ahead and run through our mine
11 plan, our reclamation plan and some
12 highlights of the Environmental Impact
13 Assessments we performed for the last decade.

14 MR. KAPPEL: Thank you, Kevin. It's a
15 pleasure to be before the Board tonight.

16 So I'd like to start I think with just
17 some of the basics of a couple of points that
18 Kevin brought up. One being the geology that
19 we all live with everyday whether we realize
20 it or not. The map that I have on the board
21 in front of the Board and in front of the
22 community is what we call a cross section.
23 North is to the right. South is to the left.
24 On the top of the cross section of the roads,
25 the local roads are listed: Reed Road,

1
2 Lewiston, Tibbetts, Fletcher Chapel, Big
3 Ford, Martin, so on and so forth. The site
4 is also shown on this cross section.

5 And the point of this -- this cross
6 section is to show the subsurface. What do
7 we have below the farm fields and commercial
8 and industrial areas that we see. As we were
9 well to the south, Tonawanda Creek, Ledge
10 Road, we go from what we call the Onondaga
11 Formation down through the Camillus shale,
12 the Syracuse Formation, a lot of shaling
13 material down into the Lockport formation,
14 which is the subject formation of our
15 proposed site. In the vicinity of Ledge
16 Road, the Lockport Formation is roughly 550
17 feet below the Earth's surface.

18 In our site, just south of Fletcher
19 Chapel, we have what we call Glacial
20 Overburden, which is the soil and subsoils
21 that we all know very well and then we go
22 immediately into the Lockport Formation.
23 There is a small window within this part of
24 New York where the Lockport is accessible
25 without significant effort to remove either

1
2 material that is not useful for, as Kevin
3 brought up, construction aggregates.

4 One can say, well, gees, the Lockport is
5 right at 31A. The Lockport is almost
6 exposed. Yes, it's very very thin and it's
7 not economic viable in terms of its thickness
8 and some things. So you have a sweet spot
9 within a certain part of New York where the
10 Lockport is accessible and is thick enough to
11 develop, roughly 115 to 120 feet thick in the
12 area of our proposed site.

13 So that's the point of one of the cross
14 sections that's in your handout. That's why
15 we included it. It gives you a sense of the
16 roads where the Lockport occurs, where it can
17 be accessed in a thickness that's useful and
18 the sequence that's useful. One would say,
19 well, what about below it. It seems to be
20 hundreds and thousands of feet of material
21 below it. You get into the Rochester, which
22 is the shally formation. Again, it does not
23 have the physical and chemical properties
24 that Kevin mentioned for concrete, asphalt,
25 high friction and so on and so forth. So

1
2 there is the Lockport, which is the dolomite,
3 as Kevin mentioned, and it occurs in certain
4 areas that we are fortunate to have at our
5 site.

6 One would ask, why do the formations
7 slope from north on the right to south on the
8 left? That's what we call the dip. It's a
9 regional dip. I won't say it's a vagary, but
10 it's part of the structure the state down
11 into Pennsylvania. And it's why we don't
12 have this formation on this map. We don't
13 have this formation in the area, but
14 everybody is familiar with the Marcellus
15 shale, which was a hot bed topic for quite
16 sometime. That's why it occurs at six, 7,000
17 feet below grade in Pennsylvania where they
18 are developing it, is this regional dip that
19 we look at. So this is the natural structure
20 of the rock formations. So having said that,
21 I'll put this board away and we can come back
22 to it later if the Board should happen to
23 have any questions about it.

24 The next board I would like to show is
25 our -- and I'll move it over here for the

1
2 audience, is our mine plan. The mine plan
3 develops a roughly 215 acre dolomite Lockport
4 Formation Quarry, Fletcher Chapel Road to the
5 north, Sour Springs Road and then we're bound
6 by the property line and into the preserve to
7 the south. The parcel is 269 acres. We have
8 four phases that we are developing for a
9 total of approximately 172 acres. As we
10 continue to point at the map Phase One, Phase
11 Two, Phase Three, Phase Four and then the
12 location of the processing plant.

13 The primary access into the facility
14 will be off Fletcher Chapel. I'm going to
15 point at the map and move my finger in a
16 southerly direction. This is the primary
17 ingress/egress point into what we call the
18 processing area.

19 There are crossings under the Niagara
20 Mohawk power line. I will point out by
21 pointing at the map again. Niagara Mohawk
22 runs in a north/south direction and our
23 facility is on either side of the Niagara
24 Mohawk power lines.

25 One thing that Kevin talked about, and

1
2 I'll briefly point out in terms of our
3 mitigation of visual and noise impacts, are
4 the robust and extensive berms as I'm
5 pointing at the map at the brown areas. And
6 the brown areas that are shown in this cross
7 section, these are earthen berms made from
8 material that we take from the area that we
9 plan to excavate and to develop the Lockport.
10 And we put these in what we call perimeter
11 berms that are sloped and vegetated. And as
12 I discussed, they are visual barriers, are
13 visual impediments and they also are very
14 very effective in terms of reducing noise
15 that is generated from onsite operations.
16 One other thing that Kevin mentioned is our
17 seasonality or I want to take our seasonality
18 and I will pick this up again when I discuss
19 noise in more detail.

20 Typical operations in an aggregates
21 industry and it depends on weather and it
22 depends on contracts, but we are a seasonal
23 operation and don't run typically December,
24 January, February. We might do maintenance,
25 winter maintenance so on and so forth, sell

1
2 some materials from stock piles, but in large
3 extent, there is very minimal activity for
4 roughly a quarter of the year.

5 So in terms of our mine plan, I've
6 discussed the berms. We talked about the
7 general layout again. Again, I'll point at
8 the phasing, Phase One, Phase Two, Phase
9 Three, Phase Four. Then I'll move to what we
10 call our reclamation plan. Again, I'll move
11 to over here so everybody can see.

12 After we have excavated the Lockport and
13 we have developed the resource, what does
14 this area become? Mr. Brown had mentioned a
15 reservoir and what I want to show on this
16 drawing is there are two lakes of two
17 different sizes that will be developed after
18 the quarry is complete.

19 We have, again, the Niagara Mohawk lines
20 which will run down the north/south through
21 the property. We have the 35.2 acre lake and
22 then we have a 156.1 acre lake, which would
23 be developed after this cessation of mining.
24 I'll come back to this, but I just want to
25 give my overview.

1
2 So in terms of impact, I have two more
3 boards I would like to discuss and then this
4 is a quick summary and I will be available
5 for any questions that come up after all the
6 presentations.

7 But what we have before you is a -- it's
8 a large scale map. And it shows -- I'm going
9 to point to the map, this area outlined in
10 the center part, north center part of the
11 map. It's called the site. This outlines
12 our Phase One and Phase Four, our Phase Two
13 and our Phase Three. Here we have Fletcher
14 Chapel Road. We've got this Alabama down
15 here to give you some sense. We've got the
16 Oak Orchard. We've got the National Wildlife
17 Refuge and then we're over in here to the
18 Tonawanda State Park -- or state management
19 area I should say.

20 The aggregate of these is roughly 19,000
21 acres. Our site, as we have talked about, is
22 roughly 270 acres. So the colors on the map
23 one might ask, why do we have yellow? Why do
24 we have yellow and orange? These represent
25 measured noise points, noise impacts or

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

existing noise in the area and how that noise affects or propagates into the wildlife areas.

So the yellow and I believe you have this in your handout, the yellow represents the distance of which we go into the refuge areas and the wildlife areas until we meet what's called ambient. So cars traveling, trucks traveling on the roadway, they have a certain distance their vehicle noise enters into the wetland, into the wildlife area.

Similarly, the farm equipment that we currently know operates on the facility propagates into the wildlife area a certain distance of a hundred feet. And then beyond that, you're back to what we call ambient or the conditions that exist pre-mining.

So we can see that there's relatively minor impacts on our wildlife areas. With the development of the quarry, again, I'm pointing to the site, we have a couple of impacts that we discussed, one would be our vibration from blasting as well as our noise particularly as we develop Phase One and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Phase Two.

The area that is hatched in orange on this map represents the distance with which we will propagate or have enhanced noise into the refuge area, in the wildlife area. That represents roughly 350 feet, that orange hatched area. If one were to take the amount of acreage that is, that's roughly 22 and a half acres of area in which we have enhanced noise or noise that goes into the wetland that's beyond ambient. When we compare that 22 and a half acres to the 19,000 acres of the wildlife areas that are shown on this map, it's .01 percent of the acreage that we're discussing in terms of our impacts.

We, as Mr. Brown has mentioned, have permit conditions which require us to mine in certain areas in Phase One and Phase Two during May, June and July so that we don't disrupt, although we don't feel we'll have any disruption to begin with, Songbirds and mating seasons. And so when that happens, this area becomes negligible, if at all, in terms of propagation into the refuge area.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

So again, just to give somebody some perspective, we talked about the truck traffic. We talked about noise. We talked about vibration. We talked about water, groundwater impacts. We are really talking about 22 and a half acres over a system of 19,000 acres. So that gives you a sense of scale of what we're dealing with.

So I just want to run through more quickly now that we have set some of the background, some of the key areas that our Draft Environmental Impact Statement has touched on as well as some of the discussion that Mr. Brown and Mr. Gowan after me will have.

Surface water runoff. I'm going to put my mine plan back. There are no surface water features aside from some drainage flails that run north to south across the site. There are no streams. There's no trout streams so on and so forth that we're impacting. So surface water impacts on this current agricultural field are nonexistent and not part of the evaluation of this

1
2 project.

3 Air resources. The mining will be
4 developed in, as I said, a phase sequence.
5 We only develop an area that we need roughly
6 a year or so in advance of the acreage we
7 will affect. What I mean by that is, we
8 don't come in and strip everything all at
9 once and have a hundred and seventy-two acres
10 of exposed surface. We develop an area. We
11 figure we need X acres in a given year.
12 That's what we develop. And the reason we do
13 that is when you leave material in place
14 until you need it, it helps with air
15 resources, minimizes dust, minimizes runoff.
16 So there is a methodology to develop the hard
17 rock quarry that helps to mitigate by design
18 some of the areas we are talking about in
19 terms of impacts. So in terms of air
20 resources, the facility will operate under
21 what's called an air facility registration.
22 Part of that has to do with the allowable
23 emissions and we'll be in full compliance
24 with our state air facility registration at
25 the time.

1
2 The berms that I talked about for visual
3 and noise mitigation and reduction also helps
4 reduce wind borne dust that gets developed.
5 It's a physical barrier to wind and having
6 the berms in place will help with air
7 resources. The berms, it's not shown on here
8 on the figure, but they will be vegetated on
9 both sides. And having that vegetated
10 surface helps with the air resources and
11 potential for wind borne dust.

12 I believe Mr. Brown did a thorough
13 discussion of blasting. One thing that I
14 will add in terms of blasting is that at the
15 STAMP site there's a dedicated seismograph
16 and accelerometer, I believe as well, which
17 is being permanently installed I believe in
18 the northeast corner of that property. And
19 it will be there for monitoring for every
20 blast. And the data from which will be
21 collected in perpetuity for every shot that
22 we take.

23 Traffic. Through negotiations and
24 through discussion in terms of what is the
25 best routing for the facility, as I mentioned

1
2 earlier on, there is a to be installed
3 entrance of off Fletcher Chapel and that will
4 be our primary ingress and egress point. We
5 do have a -- we do have a secondary entrance
6 off of Sour Springs Road, but this is more
7 for, what will I say, employee traffic, the
8 occasional maintenance vehicle. That's not a
9 primary truck route.

10 Visual. I've talked about the berms.
11 The berms that I've mentioned several times
12 now will be 20 to 30 feet high. So they will
13 be substantial in terms of their presence
14 around the facility.

15 Wildlife impacts. There are no
16 threatened or endangered species on the
17 subject parcel. And then I've discussed our
18 noise and/or blasting impact or discussion of
19 potential impacts into the wildlife refuge.

20 The vibration is roughly 1,200 feet and
21 the sound is roughly 350 feet into the
22 refuge. And as I've said already, we have a
23 permit condition that requires us to move 350
24 feet north when we develop Phase One and
25 Phase Two to offset any potential impact into

1
2 that very small acreage of the wetland. I
3 keep calling it a wetland, of the refuge
4 area.

5 Back to our geology discussion very
6 quickly, the overburden in this area, roughly
7 20 to 40 feet thick, that will be used to
8 develop the overburden berms that I've
9 discussed. I said the rock cut is 115 to 120
10 feet thick. Typical or initial production
11 from the facility roughly 350,000 tons a
12 year. Although, that is a market driven,
13 market demand number, but it gives us some
14 starting points to talk about.

15 Hours of operation. 6:00 a.m. to 6:00
16 p.m. Monday through Friday, 6:00 a.m. to
17 12:00 noon on Saturdays and then no
18 operations on Sundays and legal holidays.

19 And I believe that's it for my summary.
20 I will certainly answer any questions at the
21 appropriate time.

22 MR. BROWN: Next I have Dr. Sam Gowan.
23 Dr. Gowan, is the President of Alpha
24 GeoScience in Clifton Park, New York. He has
25 40 years of experience working with state

1
2 agencies and including NYSERDA and DEC,
3 municipalities, real estate developers,
4 mining operations, energy projects,
5 industrial facilities, commercial facilities
6 and the work includes identifying groundwater
7 sources, defining aquifer impact areas and
8 developing water supply and emergency water
9 supply plan. He's provided technical
10 expertise in the areas of fractured trace
11 analysis, water budget recharge analysis,
12 aquifer identification and delineation,
13 aquifer analysis and water shed delineation.

14 I'd like to say that Sam was the
15 hydrogeologist for NYSERDA and DEC on the
16 evaluation of fracking and the hydrofracking
17 in New York State.

18 Dr. Gowan has conducted subsurface
19 investigations and data evaluations for mine
20 planning and mining impact assessments for
21 coal, aggregate and salt mines throughout the
22 country. His work has involved defining the
23 quality and distribution of the mineral
24 deposit, identifying geologic structures such
25 as faults and fractures, assessing potential

1
2 impacts of groundwater and surface water to
3 the mining operation and also the potential
4 impact of the mine on those same hydrologic
5 resources. He has evaluated the
6 hydrogeologic impacts and groundwater
7 conditions at approximately a hundred
8 quarries and mines over his 40 years.

9 Dr. Gowan also conducts hydrologic
10 evaluations of surface water for a variety of
11 non-mining projects. These evaluations
12 include monitoring of lake eutrophication,
13 measuring stream flow rates, sampling for
14 water quality and predicting flood discharges
15 and average flow conditions.

16 Dr. Gowan has his PhD in Geology from
17 Texas A&M University in 1985. Then the M. S.
18 in Geology from Texas A&M University in 1981.
19 B. A. in Geology from Colby College in 1976.
20 He's a Licensed Professional Geologist in
21 Pennsylvania, Texas, Illinois, Missouri and
22 Kansas. You should know that New York pretty
23 soon is going to license geologists.

24 DR. GOWAN: I'm licensed.

25 MR. BROWN: And Jason's is pending, so

1
2 we're going to have two New York licensed
3 geologists here pretty soon. Professional
4 affiliations include among others,
5 Association of Engineering Geologists,
6 Geological Society of America, Hudson-Mohawk
7 Professional Geologists Association where he
8 was Vice President from 1995-96, President
9 from 1996-98. He was also New York State
10 Council of Professional Geologists. He was
11 Secretary from 1998-2002, President from
12 2003-2005 and Past President from 2005-2006.
13 Being a PhD. I've got all his publications
14 and a list of them so we won't use up all our
15 time. So I won't read those.

16 Sam, if you could?

17 MR. GOWAN: Sam Gowan. I started on
18 this project in 2008. I think the project's
19 been going on since about 2002. The project
20 started around 2002. I kind of came in in
21 2008. I was really asked to understand the
22 hydrogeology, taking the site area and
23 evaluate the relationship of the hydrogeology
24 to water resources, the groundwater and the
25 surface water in the area around the site.

1
2 Look at the impacts, what the site impacts
3 would be on those water resources, addressing
4 any concerns by stake holders and in the end,
5 lately, I was asked to assess the
6 relationship to climate change, what that's
7 going to mean to the I.N.W.R.

8 Tonight, I'm going to focus on the
9 relationship to the I.N.W.R. This map shows
10 and really, it's a repeat of what Jason's
11 already showed. You see the site and the
12 refuge.

13 Now, I'd like to talk about the basis of
14 how I arrived to understand the hydrogeology
15 at the site. Really, I started with a basic
16 premise and this is a conceptual diagram of
17 the water table. The water table essentially
18 -- and this is the way it looks all across
19 New York State. It essentially mirrors the
20 topography. So when you're in the upland
21 areas and our site is kind of in the upland
22 areas. It's below the surface. And as you
23 come down into the refuge, the water table is
24 pretty much right at the surface.

25 Now, the fundamental question is when

1
2 put in a quarry and you start to pump the
3 quarry to keep it dry, that is going to draw
4 the water table down. So what is going to be
5 that impact on surface water and groundwater
6 resources by doing that?

7 So our basic objectives when we come in
8 to investigate what the impacts are, we
9 wanted to find what that water table -- that
10 existing water table is in the region around
11 there. We want to determine what is the
12 thickness of the aquifer that's going to be
13 impacted and how far will the water table be
14 drawn down in that aquifer and then in this
15 particular case, what were the impacts on the
16 I.N.W.R. by drawing that water table down.

17 So first thing is to determine the depth
18 of the water table and typical way we do that
19 -- we did at this site is put in monitoring
20 wells and then measure the water level in
21 these wells.

22 And this is the result. This is the
23 site, the mine site. And what you're looking
24 at with blue lines, that's an elevation
25 contour. Just like topographic contours, we

1
2 also put elevation contours on the surface of
3 the water, which is called the water table.
4 The highest numbers there up in the northern
5 end, Fletcher Chapel Road is along a ridge.
6 That's the high ground. So it's no surprise
7 the water table is higher up there and as you
8 come down, the contours drop down as you go
9 south towards the I.N.W.R. So I went ahead
10 and I plotted that same map relative to the
11 outline -- the outline of the I.N.W.R. is
12 shown there in red. And you can see I put
13 the arrows on that showed the direction of
14 groundwater flow through that site existing
15 conditions as flowing towards the I.N.W.R.

16 This is consistent with our
17 understanding of the hydrogeology,
18 groundwater is recharging in the upland
19 areas. It's flowing towards the I.N.W.R. and
20 then you can see the discharge into the
21 streams, ponds and that's the way it operates
22 and then same time we have surface water
23 runoff as well. It's going down that slope.

24 So now that we know what our site
25 hydrogeology looks like, now, we want to look

1
2 at the bigger picture. We want to try to map
3 that distribution, that water table as it
4 goes down to those discharge point. We
5 measured -- this was the measurements we were
6 making on Sour Springs Road where it crosses
7 Oak Orchard Creek.

8 It also made the measurements in
9 whatever springs we could find in the area
10 and this happens to be one that's over at the
11 intersection of Dunlap Road and Shelby Road.

12 So once we had that, now, we can create
13 this regional groundwater flow map. And what
14 you can see from this is, again, these are
15 the contour lines that show the elevation of
16 the water table going down towards Oak
17 Orchard Creek and the purple lines, that's
18 showing direction the ground water flows.
19 It's going out to where its discharging.

20 Now, the next question is what happens
21 when we start to pump this out of the quarry
22 and this has to be done because you've got to
23 maintain a dry quarry in order to operate.
24 So you draw it down below the floor of the
25 core. So the fundamental question is, is how

1
2 far down are we going to draw this? We had
3 to determine this. This is a picture. You
4 can't see it very well. This is on a
5 U.S.G.S. Publication from 1964. This is the
6 Lockport Formation over the Niagara Falls
7 area. So this is the same formation that
8 we're going to mine here as Jason was talking
9 about. It has this characteristic that it
10 has a seepage face that comes out. So it's a
11 common misperception that when you dewater,
12 you're drawing the water table all the way to
13 the bottom of the quarry. And in fact, what
14 happens is the water table comes out on your
15 rock faces. So the draw down is to the top
16 of where that leakage is coming in.

17 And the other question is, is where is
18 the bottom? Unfortunately, you can't see
19 this very well, but what I've marked here is
20 I've marked the seepage face right here.
21 This line is the bottom of the aquifer and
22 that was the next challenge we had to do.
23 And one thing we know about aquifers and
24 anybody here that has a rock well, your most
25 productive fractures are in close to the top

1
2 of the rock. And as you go down, your
3 fractures -- your number of fractures
4 decrease and then you'll get to a point where
5 you're not having any fractures at all. So
6 you, basically, have a dry rock hole going
7 below your bottom fracture.

8 What we do is we take rock core and we
9 have rock core that was taken from the site
10 around 2001 or 2002. And I looked at those
11 core to see where the water varying fractures
12 are. Now, sometimes these cores come out and
13 they are broken. They have fractures in them
14 that were broken when they cored them. What
15 we look for is fractures that we know were
16 transmitting water when that core was taken.
17 What we determined and, unfortunately, you
18 can't see it on here, but we determined that
19 the fractures -- the deepest these fractures
20 went was between about 56 feet and 89 feet.
21 So that maximum depth of 89 feet is the
22 bottom of the aquifer.

23 So this line at the elevation where 89
24 feet is below the land's surface, the rest of
25 this quarry is dry. That rock is dry. But

1
2 you got that water coming out of the aquifer
3 and coming down in the quarry. That sets the
4 boundary of how far down we are going to draw
5 this water table.

6 So next thing we had to understand is
7 how far is that water table going to be drawn
8 down. How is it going to appear as its
9 pulled down as it approaches the quarry? And
10 the way we determined that is with pumping
11 tests. A pumping test was run out there in
12 the early 2000s. I don't remember the exact
13 date, 2002, 2003, something like that. That
14 was before I was on the project. We took
15 that data and we determined from that you
16 could tell how that aquifer was going to
17 behave as it was drawn down by the pump. And
18 we took the gradient from that and we also
19 compared that to a U.S.G.S. study out in the
20 power project out in the Niagara Falls area
21 in the Lockport, that also gave us additional
22 data as to how steep that gradient will be.

23 So at that point we determined that and
24 we created this draw down map. The arrows
25 now are pointing into the quarry and we are

1
2 showing draw down of the contours going into
3 the quarry.

4 And then I want to show you the outer
5 limit. This is the outer limit. Everything
6 outside of this green line is not impacted by
7 the draw down in the quarry. But I think
8 it's important to see here that that draw
9 down goes well out into the I.N.W.R. So the
10 ground water draw down underneath the
11 I.N.W.R. It comes down underneath some of
12 these critical empowerments so that raised a
13 concern for us.

14 Concern that we would draw down and pull
15 the water out of the bottom of these
16 empowerments. First thing we look at is the
17 geology and Jason talked about the geology
18 and talked about some of the types of
19 unconsolidated materials that we're sitting
20 on top of this rock. And the one thing that
21 we noticed right away is that the areas where
22 you have those empowerments like Center
23 Marsh, School House Marsh, where we are
24 having draw down, these are all underlane by
25 silted clay. At least that's what the

1
2 geologic map told us. That low -- material
3 what typically happens is it will perch those
4 surface waters and the shallow water table
5 you'll get a perched water table on top of
6 the main water table that is down in the
7 rock.

8 We weren't totally satisfied with that.
9 So we got permission from Mr. Roster to go
10 out into the marsh and pull cores. So we did
11 that. We went out in the Center Marsh area
12 and also out in School House Marsh and we
13 pulled cores and confirmed that, in fact, it
14 was the silt and clay that they mapped. So
15 we were satisfied with that.

16 So that satisfied us that even though we
17 were getting draw down in the bedrock
18 aquifer, that we were not getting draw down
19 in this superficial aquifer that is perched
20 on those empowerments on the top.

21 Next thing we did was a water budget
22 analysis. This is very powerful took. I
23 won't get into this because it's a complex
24 modeling system that we really established.
25 I started doing this in the early 1980's

1
2 because I found it was the most powerful tool
3 that I could use in these quarries in New
4 York State particular, to try to understand
5 how much water we would be dealing with.

6 Basically, the concept is, we've got
7 groundwater flow and surface water flow and
8 there's a finite amount of that water because
9 we have a finite amount of precipitation. It
10 all has to balance. It's a mass balance.

11 So what happens when we put the quarry
12 in, is and I think Jason sort of touched on
13 that a little bit, we are going to eliminate
14 some surface water because we are putting
15 this big quarry in the middle of that. Now,
16 it's going to be direct precipitation into
17 the quarry. So the run off normally would
18 have gone off in the I.N.W.R. from that
19 quarry is now in the quarry. We are going to
20 draw groundwater back as well. And that
21 groundwater, of course, was on its way out to
22 Oak Orchard Creek. So we are cutting that
23 off.

24 So first thing we looked at was the
25 surface drainage basins and even though, as

1
2 Jason said, there are no specific streams in
3 here, these basins take surface water now and
4 they move them off to the refuge. What we
5 found is there's two basins that are very
6 similar in size that kind of split through
7 the site.

8 So you've got Basin One that contains
9 the Phase One area and Phase Four area. And
10 Basin Two comes down, comes off the edge of
11 what Jason referred to as Phase Two. Basin
12 One goes into School House Marsh and Basin
13 Two goes into School House Marsh.

14 When we saw this, we were originally
15 looking at trying to do a water budget. We
16 actually did a water budget for the whole
17 project as if we were going to mine out the
18 entire mine and keep the entire mine dry. At
19 that point we realized, wait a minute. Phase
20 One is entirely within Basin One. Why don't
21 we use that as a reservoir. And I'll talk a
22 little bit more what the significance of that
23 is. So we did our water budget based on that
24 single Phase One. Because once we are done
25 with Phase One, we're going to use that -- we

1
2 are going to fill that Phase One up and use
3 that to mitigate any impact. So what happens
4 is, if you had the full quarry and you drew
5 down the full area, that's going to have a
6 bigger impact than if we just mined out Phase
7 One, then fill that back in and that's going
8 to bring the water table back up around Phase
9 One and that will help us mitigate the
10 impacts from the other phases.

11 So we did a water budget based on this.
12 It's pretty busy. I don't want to get down
13 in the weeds on this, but I just highlighted
14 some points here in red. The top one is our
15 current average annualized runoff is 185
16 gallons per minute out of Basin One. That's
17 existing conditions. When we put that quarry
18 in, the future discharge from the quarry,
19 which is groundwater and direct
20 precipitation, is going to be 445. For an
21 increase down at the bottom of 259 gallons
22 per minute annualized. So we're increasing
23 that discharge out to that School House Marsh
24 Basin One.

25 Well, I.N.W.R. had some concerns with

1
2 that because they saw this as an impact. We
3 were increasing the flow and going to impact
4 their ability to manage this. Kevin Brown
5 indicated, they manage the water levels in
6 there, but if we start increasing the inflow
7 out there, they're going to have difficulty
8 managing that. So we went over there, our
9 technical team went over and met with
10 Mr. Roster and some of the other technical
11 staff and we came up with a resolution. And
12 that resolution is that we can alternate that
13 discharge because they change their -- in
14 their management plan, they do different
15 things over periods of two or three years
16 they have these plans for increasing
17 decreasing water level, but we can cooperate
18 with them to discharge to different basins,
19 different amounts and that sort of thing and
20 they were very happy with that concept.

21 Now, I want to jump over to the DEC
22 comments. And this is mostly pertaining to
23 the I.N.W.R. Of course, they had concern
24 that we could coordinate with the I.N.W.R.
25 They were satisfied with that. In fact, I

1
2 should point out before I jump here, they
3 also had concerns with water quality and the
4 rate that we were going to discharge.

5 So based on our coordinated effort with
6 the I.N.W.R., they went ahead and permit
7 condition in the draft permit -- permit
8 condition 14 and wrote right there that we
9 would coordinate with them. We're required
10 to coordinate with them, which we're very
11 happy to do.

12 The water quality aspect. The DEC was
13 concerned because sometimes these formations
14 have water that's not very good quality. So
15 they asked us to go and collect some
16 groundwater samples from the wells we had on
17 the site. We sampled seven wells. Here are
18 the results. Again, sorry for a busy
19 diagram, but I'll just highlight the ones
20 that have exceedences. Iron, everything else
21 was very clean. It's a good quality water
22 except it's high in iron. Iron is not a
23 health hazard, but the reason I put it in the
24 standard is iron, when it's exposed to air,
25 will discolor your fixtures, your porcelain.

1
2 It will stain them. That's why this is in
3 the drinking water standard. So those levels
4 are moderately high.

5 There's a slight -- the DDS is totally
6 dissolved solids. The standard is 500, which
7 we are slightly -- slightly above that
8 standard. But everything else was good.

9 MR. SPITZER: I take it you've never
10 had kidney stones. Mine were blamed on high
11 -- from the Colorado River.

12 DR. GOWAN: Wow! How high was that?

13 MR. SPITZER: The Colorado River was at
14 our city's water system was like rocks, so
15 literally, it was higher than your numbers.

16 DR. GOWAN: One thing I want to point
17 out here, is they used this number, 385.6
18 gallons per minute. The DEC, this is going
19 back to their concern for the rate of
20 discharge. They asked me to look, give an
21 estimate of what I thought a spring snow melt
22 runoff discharge rate would be and the
23 highest groundwater rate and that's 385 and
24 then they said, okay, we are going to set
25 that as your limit. So we can't discharge

1
2 more than that in a given time. I think it
3 comes to 500,000 plus gallons per day.

4 Now, I'd like to talk about the U.S.G.S.
5 They did an analysis, an investigation. They
6 didn't really have the criticisms of our
7 approach, but they did express some concern
8 that we were going to affect the Sour Springs
9 or Sour Spring, which I think is a
10 significance for the region.

11 I know Bill Kappel. He's one of the
12 authors and we wanted to go out and
13 investigate this. He said he was unable to
14 tell us where the location was, but he did
15 tell me that the location is somewhere east
16 of Sour Spring Road and south of Oak Orchard
17 Creek.

18 So they put a well in, U.S.G.S. did, as
19 part of this investigation down here. It's
20 marked in red. That's also south of Oak
21 Orchard Creek and it's close. It's right
22 along Sour Spring Road. So I figured that
23 well, must be reasonably close. So I assumed
24 it was reasonably close to that location.
25 That location is outside of our groundwater

1
2 impact area and the fact -- what happens
3 because the Oak Orchard Creek is the
4 discharge zone for the aquifer, ground water
5 that is coming from the south is flowing
6 north through that area where the spring
7 would be. So its water is coming from a
8 different direction. It's coming from the
9 south.

10 We also put a geologic cross section
11 through. I know you saw some that Jason put
12 up. This is a different cross section. That
13 well that the U.S.G.S. put in is right here.
14 The Lockport is the dark green. That's the
15 formation that site is going to be mining.
16 But where that well is, there's another
17 formation sitting on top of it. I think
18 Jason called it the Syracuse. Actually, it's
19 the Salina Group. It's got the Vernon and
20 then the Syracuse. And these are salt
21 bearing units. They've got a lot of gypsum
22 and this sort of thing, which is the source.
23 That's the chemical source for the Sour
24 Springs.

25 So we are not impacting those springs.

1
2 I'm very comfortable with the Hydrogeology
3 and the geology. It's a different regime if
4 you will, hydrogeology, flow regime.

5 Now, I'd like to talk about the
6 comprehensive conservation plan for the
7 refuge. They completed this in September,
8 2011. And six main goals in there and I just
9 want to highlight the first two goals. I
10 won't read these but what they talk about is
11 maintaining through water level control in
12 their empowerments, maintaining the habitat.
13 And the second goal is also about maintaining
14 the free flow of Oak Orchard Creek to
15 maintain that as a part of their viable
16 habitat.

17 But they have some issues and the issue
18 is on the outlet and this is part of the
19 reason that these wetlands exist here in the
20 first place is there's restrictions because
21 of the bedrock. Where the Oak Orchard Creek
22 goes out to the north, bedrock -- Oak Orchard
23 Creek rides right on the bedrock and the
24 bedrock walls come in fairly tightly and that
25 restricts the flow. So what happens in the

1
2 spring when you have a lot of run off and you
3 have major flood events, the water can't get
4 out fast enough. So the refuge has to do
5 everything that they can to get that water
6 out of that system. But where that hurts
7 them is they are not able to hold enough
8 water back to get them through in the late
9 summer when the drought conditions occur.

10 This is a picture -- this is actually
11 down in Harrison now, but it shows the
12 bedrock sitting right on the bottom of the
13 Oak Orchard creek.

14 Now, I'd like to talk about the affects
15 of climate change. Climate change in Western
16 New York, I know NYSERDA and several other
17 groups have studied this extensively. And
18 what they are envisioning is as the
19 temperatures rise over the next decade,
20 precipitation is going to increase, but that
21 precipitation is going to be concentrated
22 more in the winter and in the spring and
23 we're going to have dryer conditions in the
24 late summer. So you're going to have more
25 evaporation and less rainfall late in the

1
2 year. So really it's going to create more
3 streams of water, which makes it difficult
4 for the management of the refuge and the
5 refuge in the conservation plan it states,
6 this comes out of that plan, that they have a
7 Federal directive that they have to plan and
8 mitigate for the affects of climate change.

9 And that brings us up to 2016, because I
10 think 2016 for this region really was kind of
11 an eye opener about what we're heading for
12 here.

13 This is a map of the drought conditions
14 and Orleans County right on the edge of it,
15 which is really where the refuge is, right at
16 the southern edge, that severe to extremely
17 severe drought conditions. This map was put
18 out on September 6th, 2016.

19 I was curious as to what this meant to
20 the flow in Oak Orchard Creek. U.S.G.S. has
21 a stream gauging station down near the
22 Harrison Road bridge. Unfortunately, I
23 didn't have a picture of that. I didn't
24 realize I was going to need to talk about
25 that. So I looked at this data from that and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the average annual discharge and if you go over on the right-hand column, that's gallons per minute, which is what we've been kind of talking about. I've got cubic feet per second in the middle column, gallons per minute on the right-hand side and the average flow is 73,000 gallons per minute, but I thought might be helpful to look at that driest part of the year, which is really September, going into October and into November, the driest part of the year.

Even though it's dry in the summer, but all your groundwater and everything has been dropping off and that's when your stream flow begins to really drop off. The average from 2009 to 2015, from that three month period is about 26, almost 27,000 gallons per minute. But September to November, 2016, it dropped to almost a third, 10,000, almost 11,000 gallons per minute. Discharge range during that period was 27 gallons per minute up to 31,000 gallons per minute, very extreme. As a matter of fact, there were 17 days in that period when that flow was less than 385

1
2 gallons per minute of allowable discharge.
3 So you can see right from this data, having
4 that ability to discharge into that system
5 would be a great asset to the refuge to help
6 maintain their flow conditions.

7 I just want to briefly point out that
8 our capacity in Phase One when that -- if
9 that's allowed to fill back up is 580 million
10 gallons. And a flow capacity of all phases
11 is 9 1/2 billion gallons. So in the future,
12 when the quarrying is done, the refuge will
13 have the ability to pump much higher rates
14 than the 385 gallons per minute and to help
15 them manage their wetland conditions.

16 And they will be able to pump discharge
17 to either basin so have that ability and we
18 will have that ability to do that.

19 So really in summary, groundwater
20 resources of the refuge will not be impacted
21 by the quarry. Any potential changes in the
22 quantity of surface water resources will be
23 mitigated by retaining flood water and
24 discharging to alternate subbasins as
25 requested by the I.N.W.R. And a water

1
2 retention capacity of the quarry during
3 mining and after the end of mining will be an
4 asset to the refuge for management and
5 seasonal hydrologic extremes caused by
6 climate change.

7 Thank you. Kevin?

8 MR. BROWN: Those are our two
9 significant presentations. I know there's a
10 lot of information in there and be happy to
11 take questions.

12 You know, can I ask? Perhaps Dina could
13 go through the package that we've provided
14 and let you know what you have because
15 there's a lot in there for reference.

16 MS. BARONE: It might help you to
17 conform your questions. There is a site map
18 in the left-hand side of your packet in case
19 you need to refer to it for questions. You
20 have plates one, two and three, which talk
21 about the Lockport Formation and show it
22 relative to the Town of Shelby.

23 Picking up on what Sam just talked
24 about, you have got the NYSERDA Climate
25 Change Study for New York State and you have

1
2 this part of New York State tabbed in yellow.
3 We also have the DEC Advisory To Hunters on
4 October 14th of 2016, of low water levels.
5 We have the USDA Press Release from August
6 29th about the Drought in Orleans County
7 complement that. We also have a NASA Climate
8 Study for you to refer to. Relative to the
9 economic and fiscal impact that Kevin spoke
10 about, there is the 2013 Economic and Fiscal
11 Impact Brief Report that as prepared if you
12 want to refer to that. And then you have in
13 the power point topically, what everybody
14 went over this evening, you have some of the
15 high points of the project overview. Again,
16 plates one through three. The Iroquois Job
17 Corps high points in case you have questions.
18 It's kind of a summary in case you want to
19 refer to it. STAMP, operational noise,
20 blasting topics, dust, quarry dewatering and
21 surface water discharge. The wildlife
22 section of this power point answers a lot of
23 the questions that the Shelby Town Board and
24 residents have had about specific animals in
25 the refuge and birds species. You will find

1
2 all of the answers here that all of you have
3 posed and the public has posed. So you might
4 want to review that before your questions.
5 Further, we have more information that backs
6 up the economic and fiscal impact report in
7 the benefit section of the report and then a
8 summary of the reclamation phase. And there
9 is also a copy of the permit in case you have
10 questions about the special conditions.

11 MR. SPITZER: Permit or draft permit, do
12 we have a permit?

13 MS. BARONE: Draft permit.

14 MR. SPITZER: Actually, maybe you can
15 tell us also where things stand with the
16 permit, the SEQR and --

17 MR. BROWN: Sure. We've been through
18 the issues conference, as you know, and ALJ
19 -- we completed the issues conference some
20 months ago. I think it was in April. The
21 Administrative Law Judge issued a ruling and
22 found no issues. There was a time to appeal
23 sent out and procedure for appeal. And as
24 commonly happens with pro se petitioners,
25 they -- apparently Mr. DeMoi sent an email to

1
2 the commissioner, an ex parte communication,
3 that then cycled to the hearing office and
4 they asked whether he would like to have that
5 considered an as appeal. So it's now sitting
6 in the office there. So that's what that is.
7 There was -- again, I don't know that there's
8 any basis. It was late. It was untimely.
9 It was improper and there was no science in
10 support of it at all.

11 MR. SPITZER: What I'm more interested
12 in is just educating the Town Board and the
13 public about how their role comes into
14 affect. I would expect the next steps of the
15 DEC would be to issue a permit and an FEIS or
16 the FEIS and then ten days later, a decision
17 in the permit or --

18 MR. BROWN: Or statement. Yeah, what
19 should happen next once the appeal is
20 resolved, the DEC should continue to findings
21 and then issue the permit. That's what
22 should happen.

23 MR. SPITZER: Once they issue the
24 findings, ten days later the Town can get on
25 with its own findings and its hearings on

1
2 your special use permits and overlay district
3 requests, right?

4 MR. BROWN: Yes, sir. Yeah, right now
5 we are still in that.

6 MR. SPITZER: Right, the Town literally
7 has to wait until they're done to make a
8 decision. So that's where everybody
9 understands the timing of how the two
10 interplay with each other.

11 MR. BROWN: Yes.

12 MR. SPITZER: Thank you.

13 CHAIRMAN DRAPER: Any questions from
14 the Board? Bill?

15 MR. BACON: Reference the noise and
16 dust, what about the people who live right by
17 this, you know, the guys right to his
18 backyard?

19 MR. STALKER: That's my question.
20 You've got that yellow on the south side
21 impacting the refuge. You say that's 22 and
22 a half acres, correct?

23 MR. KAPPEL: Correct.

24 MR. STALKER: So it's 22 and a half
25 acres on all four sides, correct? So it's 90

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

acres, correct?

MR. KAPPEL: Well, that's an interesting discussion because the ambient is different up near Fletcher Chapel. Your ambient is higher because of the roadway.

MR. STALKER: So it's more than 22 acres?

MR. KAPPEL: I'm sorry?

MR. STALKER: It's more than 22 acres?

MR. KAPPEL: No. What happens is we are -- we projected into the refuge. The ambient as you would imagine in the refuge is relatively low. So the impact can go in there a little bit further. When you're along Fletcher Chapel and you have I believe it's thirty-seven hundred cars a day or whatever the number is, the ambient number up here would be the existing sound level that you would experience today if you would walk out there is a higher than in the refuge. So our projection beyond our 30 foot high berms is not as significant in other parts of the site as you would be into the refuge. This is the most sensitive area. So you're

1
2 wanting to take that Math and applying it
3 linearly is not appropriate for the setting
4 we're in because of the surrounding roadways.

5 MR. STALKER: Okay. Second question,
6 behind you, behind you. That brown indicates
7 the berms?

8 MR. KAPPEL: Yes, sir.

9 MR. STALKER: Why is there no berm on
10 the east side there, that whole stretch
11 there?

12 MR. KAPPEL: Right here?

13 MR. STALKER: Yes, sir.

14 MR. KAPPEL: We put the berms in terms
15 of where receptors may be and we set
16 potential disturb there. So we have the
17 option of putting a berm in here should we
18 need it, but the berms were skewed towards
19 where there are receptors.

20 MR. STALKER: Okay. That's to the left
21 there. There's a driveway that goes out
22 through that berm, correct?

23 MR. KAPPEL: Right here?

24 MR. STALKER: No, no. The other way,
25 north. Your main entrance --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KAPPEL: Yeah, correct, yup.

MR. STALKER: Not there? Oh, it's going to be in the Niagara Mohawk right of way?

MR. KAPPEL: I'll bring it.

MR. STALKER: I have that here.

MR. KAPPEL: Okay.

MR. STALKER: You're not showing a break in the berm on your property line.

MR. KAPPEL: I'm not sure where. Here?

MR. STALKER: Where the entrance is going to be for the trucks? Where --

MR. KAPPEL: The entrance for the trucks comes down off Fletcher Chapel in a southerly direction and comes in and makes a westerly turn into the processing plant on the south side of the berm.

MR. STALKER: Okay. It's not on the power company right of way?

MR. KAPPEL: No, sir. We do have the authority to cross power company right away.

MR. STALKER: You made the statement of 350,000 tons a year?

MR. KAPPEL: Yes, sir.

1
2 MR. STALKER: So that's approximately
3 twenty-five hundred trucks in and out each --
4 5,000 trucks a month, correct? 20 ton to a
5 truck?

6 MR. BROWN: I'd have to do the Math
7 here.

8 MR. STALKER: I did the Math.

9 MR. KAPPEL: How many trucks?

10 MR. STALKER: Twenty-five hundred trips
11 in and twenty-five hundred trips out at 20
12 ton to a truck.

13 MR. BROWN: The reason -- I ask quick
14 off the top of my head, but I want to go --

15 MR. STALKER: I went on seven months.
16 You made the comment of seven months.

17 MR. BROWN: Let me get the actual
18 numbers out of the report because -- so I'll
19 look it up for --

20 MR. SPITZER: The traffic study I
21 assume that's in the DEIS that's online?.

22 MR. BROWN: Yes.

23 MR. SPITZER: And the traffic --

24 MR. BROWN: And there's a traffic study
25 also. There's a summary right here in this

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

document.

MR. KAPPEL: So your question, sir, twenty-five hundred trucks a month?

MR. STALKER: No, no -- yeah, a month in and out so that's 5,000 trips on that road. That's what I'm -- I'm just saying is that correct by what you said?

MR. KAPPEL: Well, the volume of thirty-five hundred, now, if that's spread -- if there's a large contract and that's spread differently over the months that you have discussed, but seven months I believe is very light. 12 months out of the year, my discussion talked about being shut down December, January and February, in there. So certainly, not seven. So I don't know if I can agree with the seven month operating season as you --

MR. STALKER: Somebody made that statement it was a seven month operation.

MR. BROWN: I'll find it in here, sir.

MR. KAPPEL: If that statement was made, that's a misstatement because a seven month operating season is way too short. So

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

I don't think the Math holds with the seven month operating season.

MR. STALKER: I wasn't the one that said seven months. Somebody out there said that.

MR. KAPPEL: Well, I'm just clarifying now, seven month is not appropriate. Your winter maintenance is December, January, February.

MS. DINA: March, too.

MR. KAPPEL: Sure, depends -- certainly, weather dependent.

CHAIRMAN DRAPER: Russ, there's not an open session.

UNIDENTIFIED SPEAKER: Oh, it's not.

CHAIRMAN DRAPER: It's not.

UNIDENTIFIED SPEAKER: I didn't know if you wanted to know --

CHAIRMAN DRAPER: Bill, anything further?

UNIDENTIFIED SPEAKER: It's National Grid.

MR. BACON: No.

CHAIRMAN DRAPER: Steven?

MR. SEITZ: Yes. Can you explain the

1
2 water? How is it being pumped out into these
3 basins? So when that -- I mean is it a pipe
4 that pumps it out? How does that work?

5 DR. GOWAN: It will be pumped out into
6 a settling -- basically, on site feature and
7 then it will channel out through a culvert
8 underneath the power line.

9 MR. BROWN: Into settling basins,
10 sequence of settling basins and those are all
11 under a permit constrictor. They can't be
12 discharged unless they meet the standards for
13 suspended solids and everything.

14 MS. BARONE: I think he wants to know
15 how it's getting from the quarry to the
16 refuge, correct?

17 MR. SEITZ: Yeah. How is that going to
18 these basins? And then you talked about
19 being able to separate them from one basin or
20 another based on the needs of the refuge. So
21 how does that work? How does it get across
22 the power line? /Because we all know that
23 there's a power line that runs behind there.
24 How is that water crossing there?

25 DR. GOWAN: It will be to the culverts.

1
2 MR. SEITZ: So the culverts just -- and
3 it can be shut off on your side, right?

4 DR. GOWAN: Right.

5 MR. SEITZ: When it's only accessed --
6 so when they stated they would need water, it
7 would be up to you guys to actually go and
8 make that movement?

9 MR. BROWN: Yeah, we have shown on the
10 -- the permit condition on the map, we've
11 showed -- we'll run the line over there. And
12 it will be just up to them. They call us.
13 They want us to move it over there. We shut
14 it and it goes that way. We've set that up
15 with them where we are going to discharge and
16 how we are going to have the switch.

17 MS. BARONE: Discharge and also retain
18 water for them.

19 MR. BROWN: We can switch between the
20 two. That was sort of the big eye opener
21 when Sam -- when they went out and we had
22 realized we are right on that divide where we
23 put this. And we can switch between basins
24 just like that. Even when we have the first
25 -- the first reservoir. So we now with all

1
2 this feed in here, we have the ability to
3 store, redirect, utter discharge, whatever
4 they need to manage their system.

5 And we actually met with Doug Sullivan
6 and I have to preface this by saying we had a
7 meeting with Doug Sullivan. They don't
8 support this project. They're not opposed to
9 this project. They haven't even looked at
10 this project. The reason we reached out to
11 them was we were looking at the mechanisms
12 that were out there for partnering with the
13 wildlife refuge. Sam talked about how the
14 wildlife refuge is to partner. They actually
15 have in their plan they need to start
16 partnering with neighbors, communities and
17 businesses, everything, because they have to
18 build some resilience in these refuges. They
19 are critical.

20 MR. SEITZ: I think we're going off
21 topic a little bit.

22 MR. BROWN: No, what I'm saying is we
23 spoke to them about partnering. They don't
24 take any positions at all. But we went and
25 talked to them about how we can do even more

1
2 planning about where this water can go and
3 how it turns out, they get matching funds.
4 So if we were to put funds into that, you
5 know, they get matching funds to do all the
6 planning. It was suggested we can do the
7 planning for this piece of refuge here.
8 Figure out the very best way to use this
9 reservoir.

10 MR. SEITZ: So the projected site, so
11 75 years, right, is that what it's -- the
12 span, that's without any additional phases
13 down the road?

14 MS. BARONE: Four phases.

15 MR. SEITZ: But no additional at this
16 point?

17 MR. BROWN: Right.

18 MR. SEITZ: So 75 years from now, we've
19 got this pretty picture what it looks like 75
20 -- what is it to the residents of the Town of
21 Shelby? Are they able to access that
22 property? Does it turnover from Frontier to
23 the Town? Does it turn to the refuge? How
24 does that work?

25 MR. BROWN: We certainly would be more

1
2 than willing to discuss that with you. A
3 process going forward with you for an overlay
4 district and a special permit. We would be
5 more than happy to discuss all of that with
6 you. As the quarry transitions. We think
7 looking at this as a refuge, those are the
8 ideal conditions for Bald Eagles. Right now,
9 there's no Bald Eagle habitat. The forests
10 are too immature in that area for marshes.
11 There's no reason the refuge plans in these
12 types of windows, 15, 20 year windows, that
13 they couldn't plan that as that quarry came
14 to culmination and became two reservoirs, two
15 lakes, it couldn't be habitat for Bald Eagles
16 and --

17 MR. SPITZER: Mr. Brown, you actually
18 said you were going to cover the reclamation
19 plan, but I didn't actually hear anybody
20 discuss the reclamation plan. So I know you
21 said in your introduction you were going to
22 do that.

23 MR. BROWN: Yes.

24 MR. SPITZER: I apologize if I missed
25 it.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BROWN: I apologize.

MR. KAPPEL: I apologize if I went too quickly, sir. So it's a very simple reclamation plan. It's what we call water based reclamation. So on the periphery in areas where we are above elevation 650 because that's the elevation of the anticipated elevation of the surface water bodies -- I'm sorry, 625. Around the perimeter, the area is graded. There is an approved seed mix or it is a seed mix which is offered in the Environmental Impact Statement, which those grasses would be placed. The upper six inches of soil which will be stripped from the area is set aside in dedicated stock piles for re-use in the future. That top soil will be spread in the areas and so in what are Phases One and Four, elevation 625, approximately water level 32 and a half acre lake or 32.2 -- or 35.2 acre lake and then Phases Two and Three, 156 acre lake. Again, water elevation of 625. Again, the same thing with areas surrounding the lake. Anything that's above that elevation

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

graded, seeded, as per the Reclamation Plan.

MS. BARONE: So you're looking at the potential for a wildlife refuge, a Bald Eagle habitat, a park, a lake, all that, walking paths, biking paths.

MR. SEITZ: But that's not stated now?

MS. BARONE: No, that could be --

MR. SEITZ: Right now it's just --

MS. BARONE: Large bodies of water, two reservoirs.

CHAIRMAN DRAPER: Put that map back up that they had in the beginning. It shows the two discharges, one to School House Marsh.

MR. SPITZER: That one.

CHAIRMAN DRAPER: Tell me the plan, again, to discharge to these two marshes?

MR. SEITZ: Basically, said two culverts?

CHAIRMAN DRAPER: I guess what I'm asking, School House Marsh on the opposite side of Sour Springs Road. So what is the plan to reach that?

MS. BARONE: Can I go back for a minute to Mr. Stalker's questions about the berms?

1
2 Actually, what you're going to have going on
3 here is that the current landowner would be
4 concurrently farming during Phase One. He
5 would be concurrently farming all of the
6 farmland that you see designated for Phases
7 Two, Three and Four. That's also why some of
8 the berms are not necessarily in there at
9 this time. The existing landowner would also
10 be concurrently farming where you see Phases
11 Two and Three, while they are mining Phases
12 One and Two.

13 MR. STALKER: My question was, made the
14 comment that the berms help cut down on noise
15 and dust and that there. There's nothing to
16 the east from hitting those houses.

17 MS. BARONE: Correct. But the fact of
18 the matter is that you're not necessarily
19 going to have an operation there because
20 there's still going to be farming.

21 MR. STALKER: There's no berm.

22 MS. BARONE: They're going to have the
23 farming operation across.

24 MR. STALKER: There is no berm in the
25 middle I'm saying to stop the dust from going

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

east.

MR. SPITZER: Will there be a berm there when the mining reaches that point --

MS. BARONE: Yes.

MR. SPITZER: -- Because it's not shown on your reclamation plan.

MS. BARONE: Well, you've got them farming on this side when stage one is going on.

MR. SPITZER: Okay. But eventually, your plan is to mine the whole area, correct?

MR. STALKER: The area on the right.

MS. BARONE: Correct.

MR. SPITZER: So when you get to the mining which is when the dust emissions would occur --

MS. BARONE: Yes.

MR. SPITZER: -- Will there be a berm there?

MS. BARONE: Yes, consist a berm.

MR. SPITZER: Where is that shown on the --

MR. STALKER: It's not shown.

MS. BARONE: It's not shown there.

1
2 MR. SPITZER: Okay. It's not shown on
3 the Reclamation Plan I think that Mr. Kappel
4 just showed us either.

5 MR. KAPPEL: Well, in the reclamation
6 plan, the berms are not shown because the
7 berms -- because we have taken the berms
8 down.

9 MR. SPITZER: Taken the berms down?

10 MR. KAPPEL: Well, because you need to
11 take -- in some areas you need to take the
12 soil that's in the berms for reclamation.

13 MS. BARONE: The overburden is taken.

14 MR. KAPPEL: Right. So go ahead.

15 MR. SPITZER: I'm not quite sure and I
16 apologize, but I'm trying follow-up with your
17 question. I don't understand this
18 reclamation plan then. Right now, you're
19 basically proposing, as I understood it, to
20 mine to the limits that the DEC permit draft
21 permit allows.

22 MR. KAPPEL: Correct.

23 MR. SPITZER: What's the reclamation?
24 You're not filling in the reservoirs,
25 correct?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KAPPEL: The reservoir is -- back fills with water.

MR. SPITZER: The reservoir is filled with water?

MR. KAPPEL: Correct.

MR. SPITZER: You then remove the berms. What do you do with that dirt?

MR. BROWN: There's slopes.

MR. SPITZER: Do you use it to create slopes?

DR. GOWAN: Slope and seeded.

MR. KAPPEL: Sloped and seeded in areas that are above the water table, correct.

MR. SPITZER: Sloped and seeded. But would the -- but that doesn't reduce the reservoir size?

MR. KAPPEL: No, sir.

MR. SPITZER: For example, you're not creating an island for wildlife?

MR. KAPPEL: No, there's no plan to do that.

MR. SPITZER: Yeah. You're not creating a recreational place for, you know, like -- you mentioned slope. Are there DEC

1
2 regulations about posts before it could be
3 used for recreation about what the slope
4 could be?

5 MR. KAPPEL: 50 feet into, the DEIS
6 describes 50 feet. The first 50 feet, the
7 water depth would not exceed five feet. It's
8 for -- that's for environmental purposes. It
9 allows certain species to develop. It's a
10 safety factor. So once you know you're wet,
11 you're wet. And that 50 feet. You're not
12 dropping off into a hundred feet of water.
13 So there's many reasons we that what we call
14 lateral zone as well as a safety factor. If
15 someone were to wander on to that, you don't
16 get inundated over your head as soon as you
17 step in the water.

18 MR. SPITZER: Speaking about safety,
19 again, just following up, what is the
20 security in the post mining era? Is it
21 barbed wire fence, guards with machine guns?
22 How do you keep kids out of this?

23 MR. KAPPEL Well, I think that
24 dovetails into the discussion that we were
25 just having as to what is the -- right now,

1
2 it will still end up being private lands and
3 then if there is a discussion in terms of
4 interfacing with the Town in the future.
5 I'll leave that up to Mr. Brown to discuss,
6 but at the conclusion of the mining, it's
7 still private land. No different than if you
8 had a pond on your property or something like
9 that.

10 MR. SPITZER: Assuming it's still
11 private land, what is the security at that
12 point? Is there a fence around it?

13 MR. KAPPEL: No, no, there's no plan for
14 a fence. Obviously, we have the utility
15 right of way, which will be maintained. We
16 have our access road will be maintained off
17 of both roadways and the berms will be
18 reduced as we have discussed. They will be
19 graded here, but and maybe Kevin can weigh in
20 on this, but my understanding is it's still
21 private land and those -- the rules of
22 accessing private land would still be in
23 place.

24 MR. SPITZER: I understand that. I'm
25 really asking about what Kevin would have

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

done status quo -- attractive nuisance.

MR. KAPPEL: Understood.

MR. SPITZER: Usually if you have a reservoir, you'd rather not have it without a fence. I'm just asking what your plans are. The road is a private road. Whether you maintain it or not, is your business.

MR. KAPPEL: Right.

MR. SPITZER: NiMo can do what NiMo does.

MR. KAPPEL: Right.

MR. SPITZER: But you have a situation that all mine owners face during operation and afterwards of it's private land. How do you keep kids out? What do you do?

MR. BROWN: It's a lake.

MR. SPITZER: Yeah.

MR. BROWN: It's a lake. We will have to work that through with the owner. We --

MS. BARONE: With the landowner.

MR. SPITZER: One last question if I may.

MR. KAPPEL: Yes.

MR. SPITZER: What's the -- 75 years

1
2 from now when it's two reservoirs and
3 reclaimed, what's the taxable value? Is it
4 anything other than zero?

5 MR. BROWN: I don't know. I'd have
6 to --

7 MR. SPITZER: The DEC uses two hundred
8 bucks for wetlands an acre. That's what they
9 recommend. That's what most assessors across
10 the State use. Assuming that it's built to
11 your plan which, you know, as approved by the
12 ALJ, what's the estimated taxable value in 75
13 years?

14 MR. BROWN: I'm not sure, sir. I'm not
15 sure what the value would be as a reservoir
16 either, if it was a water reservoir. I know
17 this year farms were looking for water,
18 needed water. I know the refuge is going to
19 need water in the future. And so it -- may
20 be it has great value as a reservoir for
21 farmers and the water can be sold. Provide
22 water downstate. There's a lot of property
23 like that. I don't know what they tax them
24 at. I know for the next number of years it
25 will return a lot of tax value. I do have an

1
2 answer on your question. What's going to
3 happen is you'll run a line. See that L
4 shaped pond?

5 MR. SPITZER: No. Can you -- maybe
6 somebody can point to it? I'm sorry. I have
7 bad vision and it's hard to see. Thank you
8 very much.

9 MR. BROWN: That's where we're pumping
10 to for Basin Two based on drawings provided
11 to --

12 MR. SPITZER: Can you do that, again,
13 whoever did that?

14 MR. BROWN: On the I.N.W.R., they met
15 in the field with I.N.W.R. I.N.W.R. pointed
16 to where they wanted these discharges to
17 reach. That L shaped pond right there and
18 the other discharge was the original
19 discharge point that we showed them.

20 CHAIRMAN DRAPER: So it is not School
21 House Marsh far to the left?

22 DR. GOWAN: It goes to it.

23 CHAIRMAN DRAPER: It is or it is not?

24 DR. GOWAN: It goes to it.

25 MR. BROWN: It goes to it. It's a

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

stream.

DR. GOWAN: It will go through their natural drainage down through School House Marsh.

MR. BROWN: We ran the HydroCAD on all those. Right now, that's a little stream.

MR. SPITZER: So the L shaped thing is not shown on the site plan, but it would basically be to the east of Sour Springs Road? And here's what I'm looking at Mr. Gowan.

MR. BROWN: This is -- the basin plan is right at this whole thing. This is pretty simple. There is the two basins coming down, Basin One, Basin Two. And School House Marsh is a stream that flows right here. Right now, it flows down this ditch, from the farm fields and collects from the farms, flows down this ditch under the culvert and over here. That's how it goes in. So that's our original discharge point is that existing drainage conveyance. After meeting with the I.N.W.R. folks, they said you can also give a discharge, run a line and that's what was so

1
2 stunning. It's only a hundred feet or so is
3 where these two flip over the other basin.
4 We just run a line over there and discharge.
5 Basically, I think it's configuration. And
6 that flows down to Center Marsh. Water keeps
7 moving. That's the design. We met with them
8 in the field and agreed that we will turn it
9 whichever way they want it going, we'll send
10 it that way.

11 And later on, when we are over in two
12 and we have the reservoir, we turn it on and
13 off any time they want. We can do whatever
14 they need.

15 MR. SEITZ: I have one more follow-up?

16 CHAIRMAN DRAPER: Go ahead.

17 MR. SEITZ: Right now, this is Frontier
18 Stone putting the application in. They are
19 the ones that are signing on in agreement to
20 be able to do this. To be able to let the
21 water out into -- with the wildlife refuge,
22 correct? That's how it currently operates.

23 76 years from now, returns to private
24 land. Is the agreement held for Frontier?
25 Because at that point I would assume the

1
2 lease is done. And then the private land
3 owner -- because if we don't have -- it's
4 just going to go back to the private
5 landowner as two lakes. How does that work?
6 How is the benefit to the refuge going to
7 continue on year 76? Is that built into the
8 agreement that the private landowner is
9 responsible to do that?

10 MR. BROWN: No, sir. Right now, it's
11 built into the mining permit.

12 MR. SEITZ: With Frontier Stone?

13 MR. BROWN: With Frontier Stone, right.
14 I think that would be a legitimate issue we
15 can look at.

16 CHAIRMAN DRAPER: Anything else?

17 MR. SPITZER: You're talking about the
18 pumping after the mining is done?

19 MR. SEITZ: Correct.

20 MR. SPITZER: Who operates the pumps in
21 terms of who pays the electric bill for the
22 pumps? You, Frontier or I.N.W.R.?

23 MR. BROWN: No, right now, Frontier.

24 MR. SPITZER: So Frontier is done with
25 its operations in 25, 75, whatever number of

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

years. Who operates the pumps then?

MR. BROWN: It may be -- I don't know, but that's time -- this is something we haven't fully resolved yet. That is the type of thing we can resolve eventually through --

MR. SPITZER: Sir, I read this. And climate change is going to be worse in 75 years and in fact, you said so. So who's going to operate the pumps in 75 years? Yes or no. Who's going to operate them?

MR. BROWN: Well, the I.N.W.R. might because they -- they could need them.

MR. SPITZER: Have you given them title to the pumps contingent on the closing of the plant?

MR. BROWN: No, sir.

MR. SPITZER: Have they taken on the Federal Government? That's such an easy organization to work with. Have they actually taken on that responsibility?

MR. BROWN: No, but I do understand that they have a statutory obligation to plan for climate change. I do understand they have a partner.

1
2 MR. SPITZER: Actually, they have an
3 executive order obligation. And I'm not so
4 sure how long that particular executive order
5 is going to stay in place given the current
6 pace of executive orders that were issued in
7 the last --

8 MR. BROWN: Yeah, that is possibly
9 true.

10 MR. SPITZER: I think the Councilman
11 has kind of hit on something, you know.
12 Obviously, the community here is worried
13 about a long term relationship and you are as
14 well because you brought up climate change.
15 Shouldn't there be presented by time we got
16 to the Town permit, review a mechanism by
17 which you will insure the ad infinitum,
18 whatever that term should be. I'm sure I
19 just butchered it, but should there almost be
20 like a homeowners' association, some
21 mechanism by which the benefit that you're
22 claiming will stay on forever?

23 MR. BROWN: Yes, sir. I think we should
24 meet. You're right. Moving to the next
25 stage through DEC. DEC regulates what it

1
2 regulates. Now, we are coming to the Town.
3 In the next step, after we get through, as
4 you mentioned SEQR findings, we move forward
5 with the Town and we can address -- we can
6 talk about all these things. These aren't
7 things we are adverse to talking about. We
8 really think this quarry, which its plan for
9 reclamation, can be an asset to the
10 community, to the I.N.W.R. So far in this
11 process, every time there's been an issue, we
12 throw -- but every time there's been an
13 issue, we've gone out and taken care of it.
14 We went out and took care of STAMP. Charles
15 -- you weren't there for that night. But
16 Charles made a statement at the DEIS hearing
17 and they said, got to figure out how it's
18 going with STAMP. We got down, worked for a
19 year. We spent tens of thousands of dollars
20 and lots of time to get that sorted out.

21 MR. SPITZER: By the way, Kevin, is the
22 data that you came up with for that testing
23 on the web site as part of the EIS? In other
24 words, one of the gentleman or you were
25 talking about, how you did this vibration

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

test?

MR. BROWN: Sure.

MR. SPITZER: And I am familiar with Vibra-Tech and very good companies you used and the data was obviously generated. Is that public? Is that in the record?

MR. BROWN: There's your website and there's the official DEC. I know we went through there.

MR. SPITZER: You can just send me an email telling me where it is. That's an answer.

MR. BROWN: GEDC I --

MR. SPITZER: Or let me suggest to you and I do apologize to the Board for jumping in. Couple things. First, I would ask that you make sure the clerk get copies of all the power points and all the maps that were submitted tonight. So that it can all be in the record.

Second, I'm perfectly comfortable with you following up to the Board with -- you asked this question, please look to the DEIS on page X or please look on page Y. This is

1
2 intended to be a conversation. So it's not a
3 quiz. So if you want to say here's the
4 answer, that's fine.

5 But you know, just staying with the
6 Councilman's question about reclamation, out
7 in Joe's neck of the wood. Mendon did a
8 really nice job with ponds where they built a
9 really nice high-end residential area on
10 reclaimed mines. But they didn't allow them
11 to literally carve out to every potential DEC
12 inch. They actually preserved area to build
13 a residential neighborhood. I think the same
14 thing was done in Clarence and some other
15 areas about that, where you end up then with
16 taxable value of a high-end value.

17 Not meaning to put you on the spot
18 tonight, because you don't have your
19 calculator or your accountant with you, but
20 clearly, in terms of looking at the
21 reclamation and the long-term history, what
22 opportunities are there to do reclamation
23 that creates a taxable, viable residential
24 community as opposed to just a couple of
25 reservoirs? I know you have worked on some

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

of those so you know what I'm taking about.

MR. BROWN: This is a process with this Board that we hope to enter a dialog. These are all -- right now, this is where we are at with the DEC. Of course, I have to talk with both -- two parties out there to work forward to this. We are hoping to have a dialog over the next year.

MR. SEITZ: To me, it's important as it is today as in 76 years from today. So I just really want to stress that. That's all.

CHAIRMAN DRAPER: Ken.

MR. SCHAL: The depth of the quarry is a hundred feet, is that correct?

MR. KAPPEL: Just over, sir. An elevation of roughly 480 above sea level.

MR. SCHAL: That's the quarry with the overburden or just the quarry?

MR. KAPPEL: The minable section of the Lockport is 115 feet or so.

MR. SCHAL: Okay. The berms that you talk about, they are going to be vegetated. What are they vegetated with or they going to be maintained?

1
2 MR. KAPPEL: Yes, they will be. There
3 is a seed mix that's in the DEIS that has a
4 list of grasses that's typically a
5 conservation mix. If some woody vegetation
6 appears on a berm, we wouldn't go knock that
7 down.

8 MR. SCHAL: So you're not going to mow
9 it?

10 MR. KAPPEL: But the base of it in
11 terms of the orientation of Fletcher Chapel,
12 that would be maintained probably once a
13 year.

14 MR. SCHAL: What's the projected life
15 span of this project?

16 MR. KAPPEL: Estimates are currently 75
17 years.

18 MR. SCHAL: Phase One, what is the
19 completion date of Phase one? How many
20 years?

21 MR. KAPPEL: Obviously, depends on
22 production rates, we are looking at ten years
23 for Phase One.

24 MR. BROWN: Eight to ten.

25 MR. KAPPEL: Eight to 10.

1
2 MR. SCHAL: So there's no reservoir for
3 the first ten years?

4 MR. KAPPEL: That is correct, sir.
5 That's correct, sir.

6 MR. SCHAL: Water quality, we are
7 discharging water into the refuge. How is
8 the water quality control determined?

9 MR. KAPPEL: Right, and Mr. Gowan will
10 weigh in on this, but I'll give you the quick
11 answer. In terms of if you saw Mr. Gowan's
12 cross sections, we're intercepting water,
13 which currently flows to the refuge under
14 current conditions. It may flow through the
15 ground. So what we do is we will be
16 intercepting that. It will come into the
17 quarry. We have a series of settling ponds,
18 which are shown on the mine plan map. We
19 have also what are called sumps, which is
20 where the water is collected and pumped out
21 of. We don't drive through those.
22 Typically, we don't mine in those areas.
23 They are kept separate from the active
24 vehicle movements within the quarry. We also
25 have what will be called a New York State

1
2 Pollution Discharge Elimination System
3 permit, a SPDES permit. And that SPDES
4 permit has chemical and physical parameters
5 that we would have to meet in order to
6 discharge.

7 MR. SCHAL: So you are going to be
8 testing the water before it's discharged?

9 MR. KAPPEL: According to the SPDES
10 permit, there are different types of SPDES
11 permit. There's what's called individual and
12 multisector. And those permits have sampling
13 requirements whether it's annual, whether
14 it's monthly. So we would be in compliance
15 with those permit requirements.

16 MR. SCHAL: You made mention of
17 matching, where did that come from? What is
18 that?

19 MR. BROWN: Well, that was -- again, I
20 need to preface, once again, Ducks Unlimited
21 takes no position on this project. Hasn't
22 reviewed it. It's not for or against it, but
23 we want to talk to them about how these
24 partnerships work. We started looking into
25 the refuge. And that's where were directed.

1
2 So what happens, if funds are contributed by
3 someone like us as part of our plan, that
4 money can be matched by grants either from
5 Federal funds or from conservation groups.
6 So the way it was explained to us, again,
7 this was very -- this was a very brief
8 meeting. We just asked how do we partner?
9 How do we get involved in this? And they
10 said, the best opportunity is to provide that
11 and get matching funds.

12 MR. SCHAL: So you intend to donate to
13 organizations?

14 MR. BROWN: Yes, I think in the
15 original -- just the economic report, they
16 were projecting some -- projecting donations
17 right away. That's one that would make a lot
18 of sense for us because it would allow them
19 to expand their planning funds and allow even
20 to look at exactly what more we can do here.

21 We will have that water available to
22 redirect right away. I mean right away we
23 are having some contribution, whether it's
24 true until we have -- the real big value in
25 this for water planning and management

1
2 happens in that eight to ten years when we
3 finish Phase One and becomes a reservoir.

4 MR. SCHAL: It was made mention earlier
5 a number of truck loads or truck traffic is
6 going to be coming down that road. Do you
7 realize those roads were not built to handle
8 that volume and that tonnage of a load?

9 MR. BROWN: Yes, sir. All through the
10 DEC process and the DEC permit, we have said
11 we will do the work on the road, those roads
12 to make them capable.

13 MS. BARONE: Frontier Stone.

14 MR. SCHAL: That's in the permit?

15 MR. BROWN: Full depth reclamation was
16 written up, full depth reclamation.

17 CHAIRMAN DRAPER: We're probably going
18 to bounce around a little bit. And I may ask
19 some questions after Dan does. My brain
20 doesn't function orderly as everybody's.

21 Still not clear about this School House
22 Marsh discharge. Are we saying that creek
23 already exists to reach School House Marsh?

24 MR. BROWN: School House Marsh, that
25 complex, that water basin all drains together

1
2 running south. So there is a defined basin
3 running out to --

4 CHAIRMAN DRAPER: I'll tell you. Maybe
5 a little clearer. I want to understand -- I
6 want you to understand why I'm asking. Is
7 your plan to ask the Town for some type of
8 easement to cross Sour Springs Road to get to
9 that marsh or is it just naturally --

10 MR. BROWN: It's nowhere near Sour
11 Springs Road.

12 MS. BARONE: It's east.

13 MR. SPITZER: It goes into a stream that
14 already has a culvert on Sour Springs Road?

15 CHAIRMAN DRAPER: That's what I'm
16 asking.

17 MS. BARONE: That's east.

18 CHAIRMAN DRAPER: Okay. The culvert
19 exists.

20 DR. GOWAN: Now drains into the culvert
21 here and then there's a little drainage here.
22 We tried to walk through there and it is so
23 dense.

24 CHAIRMAN DRAPER: If the culvert
25 exists, that's fine. Mike Fuller, Highway

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

Superintendent.

MR. STALKER: Whose culvert is it?

CHAIRMAN DRAPER: Well, that's a good question. Whose culvert is it? Do we know?

MR. MIKE FULLER: There is a culvert under the power company's driveway but a small one.

CHAIRMAN DRAPER: Is it theirs or ours?

MR. FULLER: It ain't ours. It belongs to the power company.

CHAIRMAN DRAPER: Okay. But at some point if the quarry is on the east side of Sour Springs Road and School House Marsh is on the west side --

MR. FULLER: There is an existing culvert under Sour Springs Road.

CHAIRMAN DRAPER: Okay.

MR. SCHAL: And whose is it, ours?

MR. FULLER: That's ours. That's our culvert.

CHAIRMAN DRAPER: Okay.

MR. BROWN: It's the natural discharge right now, sir, that it flows down. Right now --

1
2 CHAIRMAN DRAPER: That's fine. I
3 didn't realize it was there. I just wanted
4 to know how we're crossing Sour Springs Road.
5 If it's there, I'm good. Okay.

6 I drive it multiple times a day. So I'm
7 going to have to take another look.

8 MR. BROWN: I misunderstood where the
9 marsh started.

10 CHAIRMAN DRAPER: Okay. I understand,
11 you know, as things progress, you have to
12 have dialog with the Town, which is what you
13 alluded to. I'm going to tell you, I'm very
14 interested in post quarry plan. What I'm not
15 interested in is talking to the Town,
16 negotiating with the Town, how the Town and
17 refuge would manage post quarry. I want --
18 that means tax money and somebody else pays.
19 I want to know what your plan is. Not me
20 help develop the plan. What is your plan
21 post quarry. So we are going to need to know
22 that.

23 I also looked at those contributions and
24 I mean if you make contributions, that's your
25 business. But it also says up to -- I think

1
2 it said initially 15,000 a year, up to
3 30,000.

4 MS. BARONE: Those are estimates from
5 2013, modest estimates.

6 CHAIRMAN DRAPER: Understood. But it
7 says up to. Is there a minimum?

8 MS. BARONE: There's no minimum and
9 there is no maximum.

10 CHAIRMAN DRAPER: I'm just asking.
11 When it says up to, it always makes me
12 suspect.

13 MR. BROWN: Yes.

14 CHAIRMAN DRAPER: I'll probably have
15 more in a minute. Dale, any more?

16 MR. STALKER: Not yet.

17 CHAIRMAN DRAPER: Bethany, anything?
18 Daniel?

19 MR. SPITZER: Okay. Can I ask a
20 question about the mining plan. The blasting
21 is going to go on from 9:00 to 4:00. How
22 many times a day do you do blasting?

23 MR. BROWN: Once or twice a week.

24 MR. SPITZER: Once or twice a week.

25 MR. BROWN: Once or twice a week. A

1
2 blast, and again, the blast we did that day
3 out there was a test blast to generate much
4 larger than what we normally do. Not timed
5 so it was all condensed into one.

6 Interestingly, a well -- one of the wells it
7 was a hundred -- a couple hundred feet away,
8 expressed water. That well functions today.
9 I also told them -- still delivers water.
10 And that's consistent with those things. So
11 the blasting itself happens once, perhaps
12 twice a week. And really in the distance, it
13 sounds like a rumble. It doesn't even sound
14 like a clap of lightning. It sounds like a
15 rumble of thunder. You know, you have
16 operations around here.

17 MR. SPITZER: Mr. Kappel, when you did
18 the noise map, is that noise you used was the
19 blast limit or did you just use operations
20 limit?

21 MR. KAPPEL: Operations.

22 MR. SPITZER: So the blast limit is
23 what and the operations limit is what?

24 MR. KAPPEL: Well, when you talk about
25 limits, certainly, we can talk about the

1
2 blast limit. There's a hundred and
3 thirty-three decibel limit on what we call
4 the air blast or the air overpressure.

5 In terms of the operations limit, you
6 get into the ambient and different --

7 MR. SPITZER: What number did you use
8 for that map?

9 MR. KAPPEL: Well --

10 MR. SPITZER: I understand. You can
11 say what the ambient number is. I get that.
12 Usually, a day time ambient that you use and
13 a night time ambient.

14 MR. KAPPEL: Correct.

15 MR. SPITZER: We don't have to worry
16 about the night time ambient because I don't
17 think you're planning on doing any -- unless
18 you're planning on running a crusher or
19 something at night. I don't think you were.
20 So we are really talking about day time
21 ambient, right?

22 MR. KAPPEL: Correct.

23 MR. SPITZER: And there's a number
24 usually that you use in order to come up with
25 that map, correct?

1
2 MR. KAPPEL: Well, they are measured
3 numbers. That's why I'm hesitating because
4 the measured numbers -- this is one of those
5 answers where we direct EIS.

6 MR. BROWN: That map is really all
7 about -- it isn't about ambient around the
8 quarry.

9 MR. SPITZER: I'm not asking him around
10 the quarry. I'm asking him about the map he
11 prepared.

12 MR. KAPPEL: Right. So the measured
13 ambients are listed in the DEIS. There's a
14 table and so the ambient is slightly
15 different depending whether you're north,
16 south, east or west around the facility.

17 MR. SPITZER: Sure. I think people
18 understood that in your answer to the
19 councilman that next to Fletcher Road is
20 quieter than in the middle of the swamp.

21 MR. KAPPEL: Correct.

22 MR. SPITZER: But you also used a
23 number for operational.

24 MR. KAPPEL: That varied depending on
25 the piece of equipment.

1
2 MR. SPITZER: Sure. What number did you
3 use to produce that map?

4 MR. KAPPEL: It depended on the piece
5 of equipment. The crusher may have been 85.
6 The loader could have been 79. And so what
7 you do is you put that into model and then
8 you aggregate those and you project them
9 out.

10 MR. SPITZER: I don't have Kevin's
11 experience with mining permits, but my memory
12 is the DCC was always concerned about the
13 DBA's at property lines. So what's the DBA
14 limit at the property line under this permit?

15 MR. KAPPEL: Right, so we talked
16 difference between ambient. So there's the
17 Part 360 regulations.

18 MR. SPITZER: Well, that's landfills.

19 MR. KAPPEL: Right, but that has a
20 defined, I believe it's -- whatever it is at
21 the --

22 MR. SPITZER: Right, so that's what I'm
23 used to is in 360 --

24 MR. KAPPEL: That's the difference
25 between the two programs.

1
2 MR. SPITZER: So what Mr. Kappel was
3 saying is landfill, the DEC has said thou
4 shall not go over a number.

5 MR. KAPPEL: Right.

6 MR. SPITZER: In mining permits, it's a
7 negotiated number as part of the permit
8 conditions.

9 MR. BROWN: Correct.

10 MR. SPITZER: So my question is, what's
11 the --

12 MR. BROWN: And for air blast, the
13 number -- the air blast shall not exceed 133
14 DBA at the location of any dwelling, public
15 building, school, church, learning
16 institution going outside of the permit area.
17 Now, that's 133 DB. The truth is, for human
18 hearings that's equivalent to 62.5 DBAs. So
19 that's the limit.

20 MR. SPITZER: I'll be nice to you and
21 not ask you to explain DBA versus DBC.

22 MR. BROWN: Audible.

23 MR. SPITZER: Different limits. So the
24 people understand that it's not a hundred
25 thirty-three decibels in terms of how they

1
2 hear it. Because a jet engine is 109 and 133
3 DBA would actually break glass.

4 MR. BROWN: Yes.

5 MR. SPITZER: So the blast limit is
6 basically -- so normally, I'm used to seeing
7 a most -- again, I don't have anywhere near
8 your experience, Kevin, but most of what I'm
9 used to seeing is 50 decibels same as the 360
10 number is what the DEC puts on and what most
11 communities put on is the limit at the
12 property line is 50 decibels.

13 MR. BROWN: For operational noise.
14 Now, blasting is different.

15 MR. SPITZER: Actually, most permits --
16 you know, from the Town's point of view, we
17 don't care what you're doing. It's noise.
18 Even if it's once or twice a week. We're
19 concerned about noise. Is there a problem
20 with the 50 decibel number?

21 MR. KAPPEL: Well, this map -- now that
22 you brought that up, this map, the yellow
23 represents actually greater than 50. So
24 that's why it's identified as a potential
25 impact.

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. SPITZER: Sure.

MR. KAPPEL: So your number of 50 as worked into this map and this represents where potentially you could be above 50.

MR. SPITZER: In the refuge?

MR. KAPPEL: In the refuge and then surrounding roadways, you know, Sour Springs, so on and so forth. That is why the roadways are highlighted in yellow because you have some exceedence of 50 just by vehicle travel.

MR. SPITZER: Right. By the way, just so you know, my own background in dealing with joys of noise is in windfarms. So I get it, when the wind is really blowing, you can't hear the windfarm, but the issue is always when its start up and when it's low and then, of course, is a problem at night --

MR. KAPPEL: Right.

MR. SPITZER: -- Which you don't have to deal with. But off of the roadway like in someone's bedroom, are there sensitive receptives that will be over 50 decibels other than the refuge?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. KAPPEL: Yes.

MR. BROWN: Got thousands of pages of studies here. Without breaking them out, we are talking -- does that have the numbers?

MR. KAPPEL: So one of your requests was to send you a description within the DEIS of where you can find --

MR. SPITZER: Or the page number.

MR. KAPPEL: So we have our receptor map. This is where we physically setup our meters and took the ambient estimates and then we projected to these.

MR. SPITZER: Right.

MR. KAPPEL: So you start finding a lot of this on, you know, page 164, and then what we do is we establish the ambient. We start talking about our drills, our loaders, our crushers. We project.

MR. SPITZER: Right.

MR. KAPPEL: And then we say, okay, now, we're going to put in a 30 foot berm and if you're familiar with windfarms and how that works, there's a decibel reduction by virtue of having a barrier between where

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you're working --

MR. SPITZER: It doesn't really work with windfarms.

MR. KAPPEL: Because they're so high.

MR. SPITZER: They're a little bit higher than most berms.

MR. KAPPEL: They work for us where we are because we are working on the ground.

MR. SPITZER: Exactly.

MR. KAPPEL: So we had recorded ambients of Ringneck Marsh was 48. School House Marsh was 54.8. The Job Center was 55.3. So that's the environment in which everybody exists currently. Those were the numbers. So even without mining, there is no projection to noise. The Job Corps is already at 55.3. So that number of 50 is a rule of thumb, but when you start measuring it, it could be slightly higher or slightly lower. And then so what we do, is we added on our different scenarios, of different vehicles moving, different pieces of equipment running. And when you put in your berms and you factor your barrier attenuation

1
2 for the berm as it's referred to, we are
3 projecting out to residences 49.3, 52.2,
4 51.1. So we're in the range of what the
5 current ambient is by virtue of -- several
6 things happened. We're working against the
7 face. We've got rock faces that are 50 feet
8 high and then we've got a 20 to 30 foot berm
9 on top of that. And as you'll be familiar,
10 you know, there's up to 24 decibel DBA
11 reduction in terms of having a significant
12 barrier between the noise source and
13 receptor.

14 MR. SPITZER: Sure. So when the DEC
15 does their noise guidelines for their
16 assessment --

17 MR. KAPPEL: Yup.

18 MR. SPITZER: And they will freely
19 admit their guidelines are way out of date
20 and not particularly well written although
21 they still haven't updated them.

22 MR. KAPPEL: Can I interject there? I
23 sat on the board that attempted to rewrite
24 the noise policy.

25 MR. SPITZER: Attempted.

1
2 MR. KAPPEL: Well, we got to a draft
3 and then the draft was promulgated and there
4 was comments on it and it was never accepted
5 and I sat on the board that worked with that
6 with the DEC.

7 MR. SPITZER: And you have just
8 explained to the entire audience why they
9 trust the DEC so well.

10 MR. KAPPEL: Because I was involved?

11 MR. SPITZER: No. So current guidelines
12 say that once you got above 6 DBA difference,
13 it's starts to become noticeable and
14 partially potentially irritating. Are there
15 sensitive receptors that will -- other than
16 the marsh because to my knowledge, nobody
17 lives in the marsh, that will experience
18 increases of over 6 DBA?

19 MR. KAPPEL: Absolutely not.

20 MR. SPITZER: So there's nobody who's
21 looking at significant increases in the noise
22 levels at their homes?

23 MR. KAPPEL: No, sir.

24 MR. SPITZER: Because that's really I
25 think what the Board cares about is the

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

impact on people's homes.

MR. KAPPEL: Correct.

MR. SPITZER: And that's during all phases?

MR. KAPPEL: Yes, sir.

MR. SPITZER: Even when you move north, stay away from the refuge.

MR. KAPPEL: Yes, because as we work north, remember we are working against the 50 foot face and then we've got a 20 to 30 foot berm. So the people along Fletcher Chapel, we're at elevations that are up to 70 to 80 feet below where they are. And there's a significant attenuation of noise as we work to the north with working against that face. Then we're on the lower level. We can be over a hundred feet lower than the people living along that roadway.

MR. SPITZER: Okay. So the rock face in affect protects you, also?

MR. KAPPEL: Exactly.

MR. SPITZER: Except for the blasts because those are at 62 I think you said.

MR. KAPPEL: Right. And then the idea

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

the blasting is one to two times a week.

MS. BARONE: For 30 weeks.

MR. KAPPEL: Right. It's something that lasts between a second -- one and three seconds.

MR. SPITZER: How would you know the communities where you have a 50 decibel law or 40 decibel law and the air blast is at 62?

MR. BROWN: No, it's never been a problem. It just isn't. That's the permit condition because it's mining.

MR. SPITZER: I'm not talking about local laws. It's pretty common to have 50 decibels in local laws as the noise limit. How do you deal with it when the municipality has a lower limit?

MR. BROWN: Well, it's DEC.

MR. SPITZER: DEC is their regulations. I'm only talking about towns. They don't regulate.

MR. BROWN: I think because while you'll have a complaint on a blast sometimes if it's a cloudy day, they will go out and look. It's over. It's not that loud. It's

1
2 something like a clap of thunder. It's about
3 what it is. And what we always have is
4 pre-blast surveys. We try to respond.
5 That's a good operating practice to have
6 pre-blast surveys at all the houses and go
7 out and make sure you respond. If somebody
8 has an issue, you can nip it in the bud, half
9 time. Sometimes you did it. The numbers,
10 the levels they have are designed to avoid
11 any damage to structures, the walls, plaster.
12 Those are why those numbers are there,
13 provided a long time ago. They were using
14 them for years. Those are the numbers. If
15 you need them, you probably won't cause --
16 usually, the best thing to do is go out and
17 talk to the folks. If there is an issue,
18 take care of it.

19 MS. BARONE: Got pre-blast surveys for
20 residential, commercial structures within
21 fifteen hundred feet, the final life of the
22 mine.

23 MR. SPITZER: I have another question
24 for you, Mr. Kappel. Can you go back to the
25 map that had the one that's underneath there

1
2 that -- and I'll use the map or ask you to
3 use the map. You did a cross section of the
4 Lockport Formation or the formation that your
5 mining in. Not on that. I don't want you to
6 use that. I want you to use the map. Show
7 the Town where is the sweet spot if you will,
8 as Kevin described it, where does the
9 Lockport -- where are the minable zones that
10 make sense in this Town? Where does the
11 Lockport rise up basically along -- it's,
12 obviously, not just in one snapshot.

13 MR. KAPPEL: It's laterally expansive.
14 There's the Lockport from well over in
15 Niagara area. Where does that pinch out,
16 Sam, as you work your way east?

17 MR. GOWAN: I'm not sure exactly where
18 it is.

19 MR. KAPPEL: Your transmission. So
20 certainly within the township the Lockport
21 exists.

22 MR. SPITZER: So pretty much that whole
23 area north of the refuge may be good mining
24 area? On that criteria alone?

25 MR. KAPPEL: I will say that the

1
2 Lockport is expansive through this area and
3 if there's some areas that are slightly
4 higher, they have more glacial till or
5 something. Lockport is deeper. I can't
6 address that, but you will have undulations
7 in that unconsolidated surface. And so the
8 Lockport in our area where we're talking, our
9 site is 20 to 40 feet down and I think you
10 could find other areas in this part of New
11 York State certainly where you would run into
12 the same scenario.

13 MR. SPITZER: Mr. Brown mentioned
14 there's other mines in Town. Do you know if
15 they are mining within the Lockport?

16 MR. KAPPEL: There's the one and I
17 can't remember.

18 MS. BARONE: Shelby Crushed Stone.

19 MR. KAPPEL: Shelby Crushed Stone is,
20 yes.

21 MR. SPITZER: So there's other areas
22 within the community that would make good
23 mining locations for say expansion in say 75
24 years?

25 MR. PICCIOTTA: In 75 years, is that

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

your question?

MR. SPITZER: That's what I said.

MR. PICCIOTTA: I just want to make sure I heard your question.

MR. SPITZER: You did.

MR. KAPPEL: I think the answer to that is yes. I will tell you that Shelby Crushed Stone is in a thinner part of the Lockport and they don't enjoy the 115 to 120 foot thickness that would be at this site.

MR. SPITZER: And I apologize. I just want to make sure it's in the record and you actually moved your hand. Dr. Gowan may have actually helped you. Just show the direction from the proposed site sort of where the Lockport is moving across the Town so people understand where the potential mining zones are. All other things being equal in the town.

MR. KAPPEL: I'm going to qualify what I said and that I believe that the Lockport is expansive and exists throughout the entirety of the Township. I know certainly it continues to the west. You have some --

1
2 it's the way these formations were deposited,
3 you know, 400 million years ago. They are
4 not continuous across the State. So I was
5 moving my hand in an easterly direction. You
6 have in the middle part of the state, it gets
7 very complicated with the geology in terms of
8 what formations are continuing east and west
9 and ones are what we call pinching out or
10 becoming thinner. And certainly, under the
11 Township, I believe the Lockport is
12 pervasive.

13 MR. SPITZER: Thank you.

14 MR. KAPPEL: Sure.

15 MR. SPITZER: In terms of the dust, the
16 councilman asked the question and I was
17 curious, do you do like a fugitive dust map?
18 Is that how you figure out what the dust
19 areas are or how do you judge the dust?

20 MR. BROWN: There's calculations
21 available. They do 42 calculations. We run
22 the numbers. And you can do that and this
23 actually runs out as a deminimus site under
24 the DEC guidelines. However, there's best
25 management practices for all mine sites that

1
2 will require us -- we're going to pave or
3 pave the road or put aggregate on the road.
4 Keep water trucks going. That's the job.

5 MR. SPITZER: So it's mostly the road
6 that's the issue then in terms of dust
7 emission? It's not the crusher or the
8 mining?

9 MR. BROWN: No, the crushers are
10 covered by NSPS or Triple Zero. Those new
11 performance standards under Federal control.
12 And those have to meet very low levels of --
13 as a matter of fact, when you start it up,
14 you have to bring in a certified eyeball to
15 check the start up and make sure we've got
16 adequate controls.

17 MR. SPITZER: So does the DEIS have like
18 a fugitive emissions map or something so that
19 people right around it would know?

20 MR. BROWN: What it has -- is full of
21 calculations -- full calculations on the
22 roadways. The data is in there. That's why
23 it's sometimes hard to answer a question
24 because there's so much in here.

25 MR. SPITZER: Yeah, I'm actually asking

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you a location.

MR. BROWN: The air resource section and what you have is the calculations. We didn't do -- if you're talking about an air modeling study, it's not required in this situation. It's deminimous.

MR. SPITZER: No, actually, I was thinking in terms of folks who may live near the facility, if they wanted to know whether they were likely to have a dust issue that they wanted to talk to you about in terms of a good neighbor agreement. For example, something like that, is there a map or something that's in there that would show them that they may potentially have a dust issue?

MR. BROWN: No, because there shouldn't. We're supposed to control the dust. We're not supposed to allow the dust off the site.

MR. SPITZER: That makes sense. I wanted to ask you, Dr. Gowan, about the first eight to ten years. I understand how the reservoirs could potentially help the

1
2 I.N.W.R. What's the impact on the I.N.W.R.
3 before the reservoir is full.

4 DR. GOWAN: It's going start slow. So
5 there's only going to be minimal loss of
6 runoff in that 11.6 acres. And there's going
7 to be a minimal amount of groundwater until
8 we get down towards the bottom. So it's
9 going to be a little bit of groundwater
10 that's going to go through that eight to ten
11 years increase. So it's going to be a very
12 small amount of discharge in the beginning.
13 That's going to be very very minimal volume
14 impact, which is what the issue was in the
15 end was --

16 MR. SPITZER: Too much volume as
17 opposed to the dewatering, pulling things
18 out, lowering the hydrological level. And
19 there won't be any hydrological dropping
20 during the first eight to ten years?

21 DR. GOWAN: There will be, but there is
22 no impact to the I.N.W.R. by the groundwater
23 draw down.

24 MR. SPITZER: Because they are outside
25 of that circles of arrows?

1
2 DR. GOWAN: Even when it goes into the
3 wetland because of that silt and clay, the
4 I.N.W.R. is perched on top of that. So it's
5 not really going to pull that down at all.

6 MR. SPITZER: So basically, the clay
7 acts like a layer of rubber that keeps the
8 water from getting drawn in?

9 DR. GOWAN: Yes, correct.

10 MR. SPITZER: Okay. And that's in the
11 DEIS, also, how that was explained, correct?

12 DR. GOWAN: Our report is attached to
13 the DEIS and that's all described in there.

14 MR. SPITZER: Okay. In terms of the
15 water quality, you indicated slightly DDS but
16 mostly higher iron. What's the impact on
17 wildlife within the refuge of slightly higher
18 iron levels?

19 DR. GOWAN: Iron actually precipitates
20 out. That's why when you have high iron in
21 your well and it comes out on your fixtures,
22 as soon as it hits the oxygen in the area, it
23 drops out.

24 MR. SPITZER: So the water that's going
25 to be discharged is of the same quality as of

1
2 the drainage water that's currently going
3 into the refuge?

4 DR. GOWAN: Yeah, in the groundwater
5 when it comes in, it's cleaner looking. And
6 these quarries don't really have a lot of
7 suspended sediment. So it's going to be
8 relatively clean appearing and also not going
9 to have a lot of substances in it.

10 MR. SPITZER: And what governs that is
11 your discharge permit has limits that --

12 DR. GOWAN: Correct.

13 MR. SPITZER: And who monitors the
14 discharge permits other than the DEC? Is
15 there annual say testing?

16 MR. KAPPEL: I was just going to say,
17 if you under what's called an individual
18 SPDES permit, you will sample monthly and
19 you'll submit what's called a discharge
20 monitoring report. That's due I believe day
21 28 of the month that you collect it and then
22 you have an annual report as well. I believe
23 it's February of the following year. So
24 you'll be sampling up to 12 times a year. If
25 you have a discharge, you'll be submitting an

1
2 annual report to the agency. And certainly,
3 you know, once the information is submitted
4 to the agency, it's public.

5 MR. SPITZER: How do you --

6 DR. GOWAN: I was going to say if you
7 have a violation, if you exceed one of those
8 parameters, you get a notice of violation.
9 You have to address that. You've got to come
10 up with a mitigation plan to remove whatever
11 that constituent is that is exceeding the
12 State limits.

13 MR. SPITZER: How do you keep solvents
14 and other runoff that's normal in mining
15 operations from entering this water?

16 DR. GOWAN: Actually, that is not
17 really a problem in mining and if you're
18 going to fill vehicles with fuel, you do it
19 outside of the mine.

20 MR. SPITZER: So the crushers and all of
21 those things are going to be taken outside of
22 the mine to be filled? Maybe you can explain
23 if you've got any secondary containment areas
24 or what the other environmental protections
25 are, Jason?

1
2 MR. KAPPEL: So you have a couple of
3 regulations. We have the EPA involved and we
4 have the State of New York. Once you have
5 1,101 gallons of hydrocarbs stored on your
6 site, you have register your facility,
7 register your tanks. There's placarding,
8 dispensing requirements, secondary
9 containment, filling on a concrete pad, so on
10 and so forth. The EPA gets involved when you
11 have over thirteen hundred twenty gallons
12 with a spill prevention control and counter
13 measures planned. It's called SPCC, is
14 required. And that would take a detailed
15 look at your facility, where do you fuel, how
16 do you prevent drips, where are your spill
17 kits. It goes through the entirety of how
18 you are handling petroleum and/or chemicals
19 on your site. Certainly, distance from water
20 body separation. Not maintaining vehicles in
21 open ground. Doing it in the garage on a
22 concrete pad. You get into those best
23 management practices, which would be part of
24 those SPCC or there is another plan called a
25 SWPPP, Stormwater Pollution Prevention Plan.

1
2 MR. SPITZER So I'm familiar with the
3 SPCC. I've done it for gas stations. I've
4 recently done one on a gas built next to the
5 Scajaquada Creek. So that was real fun. Is
6 this facility going to have SPCC?

7 MR. KAPPEL: If we have the threshold
8 of fuel on site, we would be required to.

9 MR. BROWN: Right now, it's not
10 planned. The plan is to have a refuel pad
11 and to have a truck come in and refuel the
12 mobile equipment.

13 MR. SPITZER: Rather than store on
14 site?

15 MR. BROWN: Correct.

16 MR. KAPPEL: To answer your question,
17 the plant, Kevin, is running on line power?

18 MR. BROWN: Right. The plant is
19 running on line power. For the mobile
20 equipment, the idea is to bring in and refuel
21 on the pad.

22 MR. SPITZER: So the crusher is
23 running --

24 MR. KAPPEL: So you won't have a
25 generator. Gen sets will be running online

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

power.

MR. SPITZER: So you have a generator you mentioned. That brought up another question I had.

MR. KAPPEL: No generators. Line power.

MR. SPITZER: No back up generators either?

MR. BROWN: Not at this time.

MR. SPITZER: So that brings up a good question. Actually, you mention the climate change. Good for you. Did you do a greenhouse gas footprint analysis for this site?

MR. BROWN: I don't know. Probably not.

MR. SPITZER: I mean mining equipment is generally not on the --

MR. BROWN: No. Actually, what usually happens when you do mine sites, and I know National, the bigger thing is that cars come onto your site to bring people to work. That's tends to be the biggest problem.

MR. SPITZER: So you raise carbon --

1
2 excuse me, climate change as a benefit, but
3 you didn't do a GHG study?

4 MR. BROWN: No, sir, it wasn't
5 required. Here's the thing. We are raising
6 climate change in condition to that water
7 body, to those refuge -- to the refuge. I am
8 certain that this will reduce greenhouse
9 gases and climate change just because we are
10 reducing all businesses by having more sites
11 available. I mean that's --

12 MR. SPITZER: So really because that
13 gets into your customer base and I would love
14 for you to have a construction boom around
15 here, but there isn't one. And if you've got
16 one hidden, please share it with the Town
17 Board because there isn't a lot of
18 construction going on. And frankly, the
19 three major projects besides yourselves that
20 are proposed for Orleans County are two
21 windfarms in the county and one in Somerset.
22 Each of which will prevent significant
23 development because you tie up land. I mean
24 I do at lot of windfarms. You tie up a lot
25 of acreage. That's what you need to do in

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

order to build them.

So how do you get this calculation that you're going to reduce hauling distances?

MR. BROWN: Well, what I'm looking at is I thought STAMP -- we spent tens of thousands of dollars reviewing STAMP in the last year and a half. You sent us to go review impacts of STAMP. That was at your request or your firm's request. We spent tens of thousands of dollars. We hired consultants.

MR. SPITZER: Yet Chuck did not get a single bottle of Scotch as a thank you from a single consultant. I tell you.

MR. BROWN: So we did do that work. We understand STAMP is a project that's viable. That could happen and we think there's a project right there. I guess you can project that nothing is going to happen here for the next 30, 40 years and I don't know whether your refuge will be there or not. I don't know. We are just putting these out here, folks. Trying to meet with you. Trying to talk to you about what we have been

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

suggesting.

MR. SPITZER: I think I speak for the Board in saying, we're very appreciative.

CHAIRMAN DRAPER: Absolutely:

MR. SPITZER: We have been asking for this and one of your consultants has been suggesting it for over a year and the Board is in favor of it. So we are very appreciative.

CHAIRMAN DRAPER: I don't think it's been a year. It's been a while.

MR. SPITZER: I'm getting old. It all seems a long time. We appreciate the conversation nature, but frankly, when I see your markets, and when I talk to people in your industry where the markets are, it's not Orleans County. It's, you know, where the things are being built. And they said, compared to other facilities and including Frontier facilities that are potentially running low in your market, you actually may have to haul. So you made the claim there's going to be a shorter distance. Do you actually have anything that backs that up?

1
2 MS. BARONE: We're getting -- requests
3 a month on the web site.

4 MR. BROWN: And there are studies. Let
5 me just translate that to the studies that
6 are available that I think we did provide I
7 hope some place. The study done by New York
8 Construction Materials or with New York
9 Construction Materials I think there was a
10 study done by the --

11 DR. GOWAN: The state-wide study?

12 MR. BROWN: The state-wide study that
13 just showed the cost as you start eliminating
14 locations for aggregate stone right from the
15 state. And what that would do to the thruway
16 budget over the course of the next 30 years
17 and what happens is you could eliminate one
18 after another.

19 MS. BARONE: They received that last
20 January.

21 MR. BROWN: Well, no, that went to the
22 public.

23 MS. BARONE: I gave it to them.

24 MR. BROWN: Okay. And what you can see
25 there is, as those quarries go away and more

1
2 hauling distance and more hauling costs are
3 put in, the cost of all of the structure goes
4 up by several billion dollars. That also
5 correlates greenhouse gas. I don't know
6 where the next project is. I guess STAMP
7 isn't going to happen you're telling me.

8 MR. SPITZER: But STAMP is not going to
9 take 75 years to build, even in New York.
10 Maybe not 75 years. And you folks are not
11 investing in this mine because of STAMP
12 alone. I mean even if they have a contract
13 for it. If STAMP gets built, I have no idea
14 how much concrete they will use. I know that
15 Solar City, for example, which is the largest
16 project that was built in Western New York
17 didn't use that much concrete at all compared
18 to other things that they used. All of which
19 were your tax dollars by the way,
20 congratulations. But if you don't know, then
21 how does the Town Board rely upon it? In
22 other words, you've talked about quarries
23 going away. We're not talking about a quarry
24 going away. We are talking about a new
25 quarry and your claim that it would reduce

1
2 but you actually did not do a GHG footprint
3 analysis, correct?

4 MR. BROWN: No, sir. I don't believe
5 there is a GHG. I don't believe there is
6 one.

7 MR. SPITZER: You're not required to,
8 but the DEC has -- if you were a state
9 agency, you'd be required to and the new
10 regs., they're still not saying you should,
11 but they are in the still not requiring a
12 SEQOR, but you're not required to. Would you
13 be willing to?

14 MR. BROWN: Right now, we are at --
15 I'll consider that. I'll consider it, you
16 know.

17 MR. SPITZER: Well, you can see my
18 concern. You're standing here talking about
19 benefits on climate change. And it's your
20 job to point out the benefits --

21 MR. BROWN: Sir, what we've done -- as
22 we came in here, we are asked to evaluate the
23 impacts of the refuge by, you know, this Town
24 particularly as the publication of the DEIS
25 asked us, to evaluate the impacts to the

1
2 refuge, talk to the refuge folks. Let's see
3 what happens with STAMP. We spent another
4 two years within the DEC process. We went to
5 the refuge folks. We went to STAMP. We
6 spent tens of thousands of dollars with
7 STAMP. We sat with the refuge folks and
8 asked them what we can do to help this
9 refuge. That's when this -- as I said, we
10 went from no harm, a DEIS to limit impacts,
11 avoid them to Holy Cow. The more you looked
12 at it and we found we could move between the
13 basins. Talked with Dr. Gowan, he looks and
14 he says, gees, this could be a great asset
15 over time to the refuge. That's what that
16 is. So I didn't come in here saying I'm the
17 advocate or we're advocating we're going to
18 cure climate change at this quarry. What we
19 said is, that this operation could end up in
20 the reclamation that is, it's a reservoir
21 that would be very beneficial to a resource
22 that everyone on this Board and everyone in
23 this Town supposedly cares about. But if you
24 don't and you don't think it's a concern that
25 you should work on and at least look at and

1
2 at least have a discussion, that's fine. I
3 mean that's fine.

4 MR. SPITZER: Let's make something
5 clear to Mr. Brown. You made a presentation
6 to us, which said there's a benefit to
7 climate change, but have failed to do it --
8 excuse me, don't interrupt me until I'm done.
9 You have failed to look at the cost that
10 balance out that benefit. Do not come in
11 here and say benefits without telling us as
12 you did with noise impacts, with other
13 impacts, without telling us both sides of the
14 story. We're not fools and neither are you.
15 You claimed a positive climate change impact;
16 therefore, it is perfectly reasonable to ask
17 what's your negative impact of the mining
18 operation on GHG, which a climate change
19 impact. There's nothing inappropriate about
20 that question. It is completely
21 inappropriate to suggest that you have a
22 benefit without looking at all of the costs
23 that lead to that benefit, correct?

24 MR. BROWN: Yes, sir.

25 MR. SPITZER: Thank you.

1
2 MR. BROWN: Framed that way, as looking
3 at what I said, we have a reservoir to try to
4 mitigate the impacts of climate change, not a
5 direct affect on climate change. A
6 mitigation to the impacts of climate change
7 and warming on the refuge. That's what I was
8 talking about --

9 MR. SPITZER: Fair enough.

10 MR. BROWN: And explain the greenhouse
11 gas advantage to this operation.

12 MR. SPITZER: All right. But you have
13 certainly no problem with addressing the
14 greenhouse gas impacts, correct?

15 MR. BROWN: If we are going forward, we
16 will --

17 MR. SPITZER: If you don't, just say no
18 or if you want to say I want to talk to my
19 client because I don't know how much it's
20 going to cost, that would also be a really
21 good answer.

22 MR. BROWN: That might be the best
23 answer since a lot of studies --

24 MR. SPITZER: But you can see the whole
25 purpose of the conversation --

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

MR. BROWN: Yes, sir.

MR. SPITZER: -- Was to have a two-sided conversation to address all things.

MR. BROWN: Yes, sir.

MR. SPITZER: Fair enough. So in terms of -- I mentioned a taxable value and as the supervisor said, we are looking at what you're proposing, not what could be, would be, should be, may be. There is no discussion at this point. There is no plan to turn things over. I don't see in any of the DEIS and I'll admit that I had Chuck and the other young people read it more that I did, I didn't see any plan to turn any easements over to the I.N.W.R. I didn't see any plan to turn the pumps over to I.N.W.R. There's no requirement in the DEC regulations for you to maintain those pumps or you know, there's a certain trust period where the trust fund is there for the reclamation close out. But once that's done, Frontier has a right to close its books and move on.

MR. BROWN: Quite frankly, sir, we are

1
2 trying to start that engagement with the
3 refuge and found that the way that it's
4 generally handled is through like (inaudible)
5 so we reached out. As I said, we had a short
6 meeting with Ducks Unlimited. But and again,
7 they take no position on this project. And
8 then we were told, basically, you know, they
9 are not talking to us right now.

10 MR. SPITZER: Well, it's duck hunting
11 season maybe. So those of you that are not
12 familiar with ducks --

13 MR. BROWN: All those things are things
14 we think we should explore and would want to
15 explore.

16 MR. SPITZER: Okay.

17 MR. BROWN: And will explore.

18 MR. SPITZER: Okay. You mentioned the
19 seven wells that were sampled. Is that you,
20 Dr. Gowan? By the way, if you're Dr. Kappel,
21 I apologize. I didn't see that on your
22 card.

23 MR. KAPPEL: No.

24 MR. SPITZER: Did you sample any of the
25 wells off site?

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

DR. GOWAN: No.

MR. SPITZER: So what will be the impact on the wells offsite?

DR. GOWAN: We've evaluated that and there's going to be draw down impacts. And we've got a mitigation plan. We're going to put drop cuts around the edge of the quarry and we've set up a monitoring plan. We are going to install wells and monitor changes as they occur from the very beginning of the mining. And if there's going to be impacts or impacts start to occur towards those wells, then we use the drop cut to recharge the aquifer and maintain water levels in those directions.

MR. SPITZER: So somebody's well runs dry, you investigate at that point? Somebody who's near the mine, obviously.

DR. GOWAN: The permit has a plan in it already, the arbitration agreement.

MR. SPITZER: But the permit isn't binding on the neighbors, obviously.

MR. KAPPEL: The permit says that if potable water is lost or impaired, that the

1
2 permit holder is required to replace that
3 water source up and until the time it's
4 either determined that they are the root
5 cause of it or if they are not the root cause
6 of the problem in that. So there is a
7 hierarchy within the permit, whether it's
8 loss of function of a well, whether it's
9 reduction of groundwater head, quality as
10 well and that's spelled out in the permit.

11 MR. SPITZER: How does that work,
12 explain it for the folks here, day one, their
13 well is dry. They think it's your fault, but
14 they are not hydrologists. What do they do?
15 How long does it take? When does your
16 obligation to start providing them water
17 begin? Just take people through it on sort
18 of a laymen's term if you will.

19 MR. KAPPEL: There's a process to
20 establish the water level prior to the
21 initiation of mining. Same as we do what's
22 called a pre-blast survey. We look at a home
23 prior to blasting and that establishes a
24 baseline from which we can then talk about
25 future impacts.

1
2 MR. SPITZER: Can I stop you for a
3 second there? How do you make sure that
4 that's the right baseline as opposed to the
5 2016 worst case scenario?

6 MR. KAPPEL: The drop scenario?

7 MR. SPITZER: Yes.

8 MR. KAPPEL: Maybe I don't understand
9 your question.

10 MR. SPITZER: My concern is that a
11 baseline, for somebody like for my well, if I
12 had a well, I'd want it to be a baseline
13 based on a five year average as opposed to
14 say 2016, where it was probably the driest.

15 MR. KAPPEL: As a hydrogeologist, can I
16 tell you that that assumption wouldn't be
17 what you would want as a homeowner.

18 MR. SPITZER: Okay. What's my
19 assumption?

20 MR. KAPPEL: You'd want me to come out
21 there on day one and have the water
22 absolutely as high in your well as possible.
23 You'd want a spring rain and a snow melt the
24 day before I get there.

25 MR. SPITZER: Which means I don't want

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

you out there in 2016?

MR. KAPPEL: Right.

MR. SPITZER: So how do I make sure that your baseline isn't a 2016 baseline? How do you make sure that you're not in the lowest year or even in an average year?

DR. GOWAN: We will do that on the quarry. The quarry wells that we're putting in as specified by the DEC --

MR. SPITZER: But you're not going to do that as part of the --

DR. GOWAN: We will establish a baseline for monitoring.

MR. SPITZER: And you don't establish them to do a well survey?

DR. GOWAN: Don't need to.

MR. SPITZER: Don't need to?

DR. GOWAN: Don't need to.

MR. SPITZER: I interrupted you. Please continue. You've got your baseline, which is based on the -- we now know it's based on the quarry. So my baseline is based on the quarry.

MR. KAPPEL: You want it based on the

1
2 quarry because the quarry well is going to be
3 pumped. So if I go to your house after you
4 just took a shower or used the bathroom and
5 your well pump kicked in, your well -- the
6 water in your well could be quite low. And
7 so there are vagaries and there are
8 difficulties in terms of going to a
9 residential well and establishing a baseline
10 because you're using it everyday. So the
11 wells that are on the periphery of the quarry
12 won't be pumped and they'll be more -- we
13 call them sentinel wells and we call them
14 observation wells. So that they are
15 unadulterated and unimpacted by pumping.
16 They establish a groundwater head over time
17 that we can monitor and then we can start to
18 see if there's a decline in that average as
19 you discussed.

20 MR. SPITZER: Okay. So I now have my
21 baseline. My well is still dry. What
22 happens to my well when I've called you and
23 said it's dry?

24 MR. KAPPEL: Certainly, I will ask
25 Kevin to step in on this, but if there's a

1
2 complaint to the DEC, that initiates an
3 investigation.

4 MR. SPITZER: We're a friendly
5 community. They call the mine owner.

6 MR. KAPPEL: You walk into the scale
7 house and you say, I need to talk to somebody
8 and then that initiates the process.

9 MR. SPITZER: How long is it before
10 your requirement to compensate them or get
11 them water?

12 MR. BROWN: The permittee must
13 immediately supply water and this is out of
14 the permit. The permittee must immediately
15 supply water to dispense the impact to the
16 property. The property must continue to
17 supply water to the impacted property or
18 properties unless and until the permittee can
19 demonstrate to the satisfaction of the
20 Department that the mining operation is not a
21 contributing cause to the identified impacts.
22 In the event that the impacted water supply
23 is used as a drinking water source, potable
24 water must be supplied. So we are dealing
25 with both with farm irrigation water here and

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

with potable water.

MR. SPITZER: So the community understands that, in fact, you're guilty until proven innocent?

MR. BROWN: Right, that's the way the permit is written up. That's the permit condition that the DEC imposed.

MR. SPITZER: Did your study do any study after -- you have these two reservoirs you have to close, did your study indicate any impacts on the residential wells around the area or is that just a dumb question? You've got these now two reservoirs. What impact would there be on people's wells or things around the area? You talked a lot about the refuge. I'm talking about the wells around the mine that are owned privately. What would be the impact on them after when it's just these two giant lakes?

MR. PICCIOTTA: By the virtue of the reservoirs being in place --

DR. GOWAN: Actually, the reservoir is a big benefit to those wells because it's a huge -- it's a huge storage. You've removed

1
2 all of the rock and whatever else that's
3 occupying that space. You filled that space
4 with water.

5 MR. SPITZER: Thank you. I think I
6 asked a lot of my other questions while I was
7 interrupting everybody else. That's all I
8 have got, sir. Thank you.

9 CHAIRMAN DRAPER: I'm going to ask the
10 Board one last time, do you have any more
11 questions from anybody?

12 MR. SEITZ: I have one more question.

13 CHAIRMAN DRAPER: Go ahead.

14 MR. SEITZ: I'm sorry to keep you guys.
15 And thank you for answering all of these
16 questions. We talked about what happens if
17 somebody runs out of water. What happens if
18 there's damage to the property, say a
19 foundation? I'm not an expert when it comes
20 to rock or I would assume a blast potentially
21 could have some type of affect on home
22 foundation. How is that taken care of by
23 Frontier Stone?

24 MR. BROWN: I have to check. There's a
25 lot of these permits. I want to make sure I

1
2 found the right one. Pre-blast survey, okay.
3 Prior to engaging in blasting, the permittee
4 shall conduct a pre-blast survey for
5 residential and commercial structures, not
6 owned or leased by the permittee, that are
7 within 1,500 feet of the final life of mine
8 boundary. So that's not even where
9 exactly -- everything from fifteen hundred
10 feet of this area.

11 Landowners within fifteen hundred feet
12 of the life of mine boundary should be
13 notified in writing that they have the right
14 to have a qualified third-party conduct a
15 pre-blast survey prior any blasting taking
16 place at the quarry. The letter shall
17 describe the procedure for making a pre-blast
18 survey request to the company. The survey
19 shall document the condition of the dwelling
20 or structure and catalogue any pre-blasting
21 damage or other factors that could reasonably
22 be affected by blasting at the mine site.

23 Assessment of the appurtenances such as
24 pipes, cables, transmission lines and water
25 well systems, shall be limited to surface

1
2 condition or readily available data.

3 Copies of the completed pre-blast survey
4 shall be provided to the person requesting
5 the survey and to the Department. Survey
6 reports and documentation of all contacted
7 parties, including those that refused
8 pre-blast surveys, shall be maintained by the
9 Department. That's why I don't know these by
10 heart. The Department writes these up for
11 us.

12 MR. SEITZ: Okay. Could you explain
13 that to us so that we can understand it? I
14 don't quite grasp it. In the event that my
15 house has a crack in the foundation, right,
16 you guys blast three years from now,
17 something happens. A lot of the residents
18 that are behind you are in close proximity.
19 So they have to get a pre-blast survey. They
20 have to pay for that?

21 MS. BARONE: No.

22 MR. BROWN: No, no, we pay for it.
23 That's why I read all through that. Anyone
24 can ask for a survey.

25 MS. BARONE: Within fifteen hundred

1
2 feet.

3 MR. BROWN: Within fifteen hundred feet
4 of the whole life of the mine and any area of
5 this project (inaudible) and we would
6 recommend everyone get a pre-blast survey.
7 We'll pay for it. We have to pay for it
8 under the Department permit. That data then
9 documents here's the foundation. Here's the
10 structure. It's all documented. It goes to
11 the owner, to the DEC and to the quarry.
12 Then if there is a blast, if you think
13 something happened, call us. They go out.
14 No, DEC usually shows up. If you have a
15 blasting complaint like that, DEC will
16 inquire what's going on there and often times
17 they show up.

18 MR. SPITZER: Typical situation I'm
19 familiar with is, if you do a pre-blast
20 survey and a couple years later a homeowner
21 notices that a one inch crack is a three inch
22 crack. And generally, at that point it's
23 your obligation to fix the crack because the
24 presumption of the DEC is that that's what
25 caused the widening of the crack. And again,

1
2 it's sort of guilty until proven innocent
3 situation?

4 MR. BROWN: Not quite the same as with
5 the water. With the water, it's definitely
6 that. You've got to come in and start
7 providing the water right away.

8 With the blast, there is a little more
9 back and forth. What usually happens,
10 generally most of those -- if you really
11 looked over time all the sites and all the
12 studies, really a lot of that is natural
13 foundation settling stuff. So a crack that's
14 this big, what in three years it's like this,
15 often those are called in. DEC will always
16 go out and look and we look at them and often
17 times, the company will take care of that.
18 But generally, that is a process you go
19 through with DEC and find out whether it
20 really was caused by the blasting.

21 I can tell you that these standards that
22 are used, that they are in place for a long
23 time. And so long as you're meeting your
24 blasting limits and it's monitored, every
25 blast is monitored, it should not cause any

1
2 damage to structures.

3 Now, here's the way DEC will explain
4 this. We monitor every blast. So we have a
5 blast that exceeds the numbers. They get the
6 reports, too, every blast. If there's a
7 problem with one of the houses around there,
8 we're going to be paying for it the next day.
9 You know, that's what happens. So every
10 blast has a record that's reported to the
11 DEC. Every house can have a survey, so it
12 has its conditions. And these are pretty
13 standard state-wide now, how these work.
14 Again, if we exceed a number, what I would do
15 if I were you, I'd wait and find out when we
16 do exceed and call, then we will come in and
17 fix it all.

18 MR. KAPPEL: I can add some detail. If
19 there's a question in a home, the DEC has the
20 authority to ask us to put in another
21 seismograph to monitor the vibration of that
22 home specifically. And then in your packet,
23 you have the permit. Last page of the permit
24 is what's called the Z Curve and the Z Curve
25 has vibration thresholds and in there it

1
2 specifically mentions drywall, plaster and
3 lathe and the simple way to think about this
4 curve, is we always need to be below the
5 line. And the data that Kevin is talking
6 about, that's generated for each blast, you
7 will plot on this graph where you fall
8 relative to that line. It's very simple to
9 see. Are you above it? Are you below? Are
10 you on it? And then, you know, this becomes
11 the basis for the conversation of what damage
12 occurred, if any, associated with blast.
13 Lots of times there is a question and then so
14 we will put another monitor out if requested
15 by the DEC to do so. The next blast will
16 monitor that property specifically.

17 MR. SPITZER: You mention that there
18 was a protocol that was derived as a result
19 of the blasting and the testing at STAMP. Is
20 that also in the permit that --

21 MR. KAPPEL: STAMP, yeah, it's very
22 detailed in terms of when an occupant moves
23 in. There's different criteria.

24 MR. SPITZER: I understand it's
25 triggered until somebody moves in.

1
2 MR. BROWN: Those standards are the
3 very -- you're just seeing the Z Curve. So
4 what has to happen is we have to stay under
5 those numbers at that location.

6 MR. SPITZER: If STAMP comes to be?

7 MR. BROWN: Well, no, right now, even
8 before, even while they are just marketing
9 the site, we have to put a monitor down there
10 and keep those numbers below semi-conductor
11 numbers before anything is even there. At
12 the issuance of the permit, we have to do
13 that.

14 MR. SPITZER: Does anybody know where
15 STAMP stands? Nobody's been indicted to my
16 knowledge. Maybe that's the problem. Thank
17 you.

18 CHAIRMAN DRAPER: One last call for
19 the Board? Anything else? All right. We
20 want to thank everybody for coming. We want
21 to especially thank Doreen. I told her she'd
22 be here about 90 minutes. Might have gone
23 over that by five or six. The lights are all
24 on. I now we moved the chairs around.
25 There's too many attorneys here for you guys

1
2 to trip leaving so be careful. Have a good
3 night. Thank you for coming.

4 MR. BROWN: Thank you very much.

5 MS. BARONE: Thank you.

6 CHAIRMAN DRAPER: Oh, hang on. I
7 forgot. Need a motion to adjourn?

8 MR. SEITZ: So move.

9 CHAIRMAN DRAPER: Is there a second?

10 MR. SCHAL: Second.

11 CHAIRMAN DRAPER: All in favor?

12 MR. STALKER: Aye.

13 MR. SEITZ: Aye.

14 MR. SCHAL: Aye.

15 MR. BACON: Aye.

16 CHAIRMAN DRAPER: Meeting is adjourned.

17 (Proceedings concluded at 8:20 p.m.)
18
19
20
21
22
23
24
25

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24
25

C E R T I F I C A T E

I, DOREEN M. SHARICK, do hereby certify that I have reported in stenotype shorthand the proceedings in the matter regarding Frontier Stone, LLC, held before the Shelby Town Board Workshop Meeting, 4062 Saltworks Road, Medina, New York, on January 30, 2017.

That the transcript herewith is a true, accurate and complete record of my stenotype notes.

Doreen M. Sharick

Doreen M. Sharick,
Notary Public.